

**Board of Inquiry into the McCrae landslide**

**Before: The Chairperson,  
Ms Renée Enbom KC**

**Federal Court of Australia,  
305 William Street, Melbourne, Victoria**

**Monday, 18 August 2025 at 10.00am**

**(Day 13)**

**Mr M. Costello KC with Mr A. Di Stefano and  
Ms A. Kittikhoun appeared as Counsel Assisting.**

**Ms K. Evans KC with Mr C. McDermott appeared on behalf of  
the State of Victoria.**

**Ms K. Foley SC with Ms E. Bateman appeared on behalf of the  
Mornington Peninsula Shire Council.**

**Ms D. Siemensma appeared on behalf of South East Water  
Corporation.**

1 CHAIRPERSON: Mr Costello.  
2  
3 MR COSTELLO: Thank you, Madam Chair. I appear this  
4 morning with Mr Di Stefano and Ms Kittikhoun.  
5  
6 CHAIRPERSON: Thank you. And I can see we have Ms Foley  
7 appearing with?  
8  
9 MS FOLEY: Ms Bateman.  
10  
11 CHAIRPERSON: Bateman.  
12  
13 MS EVANS: I appear with Mr McDermott.  
14  
15 CHAIRPERSON: Thanks, Ms Evans.  
16  
17 MS SIEMENSMA: I continue to appear for South East Water.  
18  
19 CHAIRPERSON: Thank you. Mr Costello.  
20  
21 MR COSTELLO: Madam Chair, expert hot tub on mitigation.  
22 Mr Pope and Mr Paul will need to be resworn.  
23  
24 <DARREN ROSS PAUL, AFFIRMED:  
25  
26 <DANE RICHARD POPE, AFFIRMED:  
27  
28 <EXAMINATION BY MR COSTELLO:  
29  
30 MR COSTELLO: Mr Paul and Mr Pope, thank you both for once  
31 again coming to give evidence to the board of inquiry. In  
32 a moment I'll give you both an opportunity to give an  
33 overview of your thoughts and solution in respect of  
34 mitigation, but before doing that there's a few preliminary  
35 questions I'd like to put to each of you. Perhaps just  
36 start with you, Mr Pope; you can answer first and then  
37 Mr Paul can answer. You've presented a report, which  
38 I will tender - Madam Chair, I propose to tender the  
39 reports at the end. I'll tender them with some other  
40 material that all needs to be tendered. We've got a list  
41 coming. So we can do a bulk tender, if that's convenient.  
42  
43 CHAIRPERSON: Yes.  
44  
45 MR COSTELLO: Mr Pope, you've prepared a report dealing  
46 with mitigation. Have you in your report considered  
47 mitigation of the land affected by both the 2022 and 2025

1 landslides?

2

3 MR POPE: Yes.

4

5 MR COSTELLO: And Mr Paul?

6

7 MR PAUL: Probably got to define a few words around  
8 mitigation and remediation there, but it deals with both.  
9 I deal with both.

10

11 MR COSTELLO: All right. I will come to that distinction  
12 in a moment. Mr Pope, is the clearing of the site at  
13 3 Penny Lane a prerequisite for mitigation works that you  
14 propose?

15

16 MR POPE: Technically you can start top down while it's  
17 there. It's probably - I guess it's a matter of design  
18 whether it's better to get rid of the house now or while  
19 you roll - because you can roll out the netting and be  
20 protecting downslope while you do it. So, yeah, I think  
21 it's just a matter of --

22

23 MR COSTELLO: Irrespective of sequence, though, the land  
24 will need to be cleared?

25

26 MR POPE: Yes, yeah.

27

28 MR COSTELLO: Same for you, Mr Paul.

29

30 MR PAUL: Yes, cleared initially, yes

31

32 MR COSTELLO: Initially. That is before other work is  
33 done?

34

35 MR PAUL: Yes, yes.

36

37 MR COSTELLO: Mr Pope, is your solution developed on the  
38 basis that water infiltration is the primary risk to be  
39 mitigated?

40

41 MR POPE: It's one of, yeah --

42

43 MR COSTELLO: You wouldn't describe it as primary?

44

45 MR POPE: It's one of the main controls that you have to  
46 address, yes.

47

1 MR COSTELLO: What were the others that you had in mind?  
2  
3 MR POPE: Just the steep slopes themselves and the  
4 relatively unstable colluvial soils that sit on the slopes.  
5  
6 MR COSTELLO: Mr Paul?  
7  
8 MR PAUL: Yeah, so we're trying to mitigate risks  
9 associated with further landslide. Control of groundwater  
10 is one of the actions we might take to reduce the risk from  
11 further landslide, probably the way I would frame it.  
12  
13 MR COSTELLO: All right. Thank you. Mr Pope, is your  
14 view that what I might just describe as the landslide area  
15 generally, by which I mean top of the slope, 6 and 10-12  
16 View Point Road, and the bottom of the slope, Penny Lane  
17 generally and the houses on Point Nepean Road closest to  
18 the site - is it your view that that area is capable of  
19 continued safe habitation in the future if appropriate  
20 mitigation works are undertaken?  
21  
22 MR POPE: Yes, with appropriate engineering controls in  
23 there, yes.  
24  
25 MR COSTELLO: Mr Paul?  
26  
27 MR PAUL: Yeah, risk mitigation, yeah.  
28  
29 MR COSTELLO: Dependent on mitigation works occurring?  
30  
31 MR PAUL: That's right, yeah. We use the word "safe", but  
32 really what we're trying to do is reduce the risk to a  
33 level that is considered tolerable.  
34  
35 MR COSTELLO: Yes. Do you agree with that, Mr Pope?  
36  
37 MR POPE: Yes.  
38  
39 MR COSTELLO: I'll come to each of your proposed solutions  
40 soon, but without descending into the detail of them for  
41 now, Mr Pope, is it your view that if your solution, if  
42 I can call it that, is implemented the risk of a landslide  
43 again occurring is significantly minimised?  
44  
45 MR POPE: Yes.  
46  
47 MR COSTELLO: Are you in a position to say whether, for

1 example, you would expect a rainfall event like has  
2 occurred in 2022 to be able to be resisted, if you like,  
3 by --  
4

5 MR POPE: Yeah, I do expect that. So the '22 design was -  
6 we literally looked at saturating the near surface soils,  
7 like an artificially high water table, and it still  
8 withstands that, so, yes.  
9

10 MR COSTELLO: Is that the same for if, opposed to rain,  
11 there was ongoing infiltration of water into the site over  
12 an extended period, would you expect your solution to be  
13 able to cope with that?  
14

15 MR POPE: Yes.  
16

17 MR COSTELLO: All right. Mr Paul, again without  
18 descending into detail, if your solution was implemented  
19 would you expect the slope to be able to withstand a  
20 rainfall event as occurred in 2022?  
21

22 MR PAUL: You might still get a landslide. So the  
23 approach I've taken is protection, not stopping the  
24 landslide necessarily happening. It might be a different  
25 part of the slope other than where the 2022 slide occurred  
26 that could be still vulnerable to rainfall.  
27

28 MR COSTELLO: I see. But, as we'll come to, you have  
29 designed features to try to prevent there being any risk to  
30 property or human life?  
31

32 MR PAUL: Correct, yeah.  
33

34 MR COSTELLO: Thank you. And what about sustained  
35 infiltration of water over a period of time other than by  
36 rain? Would you expect your design to be able to cope with  
37 that?  
38

39 MR PAUL: I've got provision there to remove or try to  
40 pump groundwater out should it be a sustained increase.  
41

42 MR COSTELLO: Thank you. Mr Pope, do you agree that  
43 there's no single correct answer as to what mitigation  
44 works should be undertaken here?  
45

46 MR POPE: Yes.  
47

1 MR COSTELLO: Do you agree with that, Mr Paul?  
2  
3 MR PAUL: Yeah, I agree, yeah. Good engineering provide  
4 options, and there's a whole bunch of considerations in  
5 selecting one option.  
6  
7 MR COSTELLO: Thank you. Mr Pope, in your report you have  
8 expressed your report as being in part at least so that  
9 there can be a meaningful discussion with other experts?  
10  
11 MR POPE: Yes.  
12  
13 MR COSTELLO: And so does that necessarily mean that this  
14 is the start of a process and the solution embodied in your  
15 report is not necessarily final?  
16  
17 MR POPE: It's definitely not final, yeah. Yes, that's  
18 correct.  
19  
20 MR COSTELLO: Mr Paul, is it the same for you?  
21  
22 MR PAUL: Yeah, it's what we call a concept design, which  
23 if it was selected to be advanced you would take it into  
24 more detailed design stages.  
25  
26 MR COSTELLO: So it is fair to say that neither of you  
27 have undertaken detailed design work?  
28  
29 MR POPE: Yes.  
30  
31 MR COSTELLO: That is part of what would need to occur  
32 into the future?  
33  
34 MR POPE: Yep.  
35  
36 MR PAUL: Correct.  
37  
38 MR COSTELLO: Thank you. Now perhaps I'll move to you for  
39 this, Mr Paul, since you raised it already. In each of  
40 your reports you acknowledge a difference between  
41 remediation and mitigation. Could you explain the  
42 difference, Mr Paul?  
43  
44 MR PAUL: I use the term "remediation" meaning to return  
45 the landscape as far as practical to the condition it was  
46 in before the landslide, and we'd use that - say, if there  
47 was an insurance claim on it, for example, there might be a

1 requirement to return it back sort of like for like, and so  
2 we tend to use the word "remediation": put it back how it  
3 was.

4  
5 MR COSTELLO: And you've sought to do that by your  
6 concept?

7  
8 MR PAUL: Have sought to do that, yes.

9  
10 MR COSTELLO: And, Mr Pope, you have assumed in your  
11 report that remediation is not necessary; is that correct?

12  
13 MR POPE: Yeah, yes.

14  
15 MR COSTELLO: And why have you assumed that?

16  
17 MR POPE: It's maybe not that it's not necessary. In my -  
18 my design is just responding to the land form rather than  
19 trying to reinstate the land form. Yep.

20  
21 MR COSTELLO: Mr Pope, have you proceeded on the  
22 assumption that any works will require the consent of the  
23 landowners at least of 6 and 10-12 View Point Road?

24  
25 MR POPE: Yes.

26  
27 MR COSTELLO: Have you as well, Mr Paul?

28  
29 MR PAUL: Yeah, they definitely would. It's on private  
30 property, all of it, yeah.

31  
32 MR COSTELLO: Thank you. Now, Mr Paul, you first touched  
33 on mitigation and remediation in your causation report,  
34 which has previously been tendered to the inquiry, and in  
35 that report you identified four options that in some form  
36 of combination you thought could be appropriate. The four  
37 options, so far as I read your report, was - soil nails and  
38 shotcrete was one, rock fill was another, reinstating the  
39 slope with a gabion wall was the other, and there's also  
40 consideration of the installation of groundwater pumps?

41  
42 MR PAUL: That's right.

43  
44 MR COSTELLO: And you've identified those things as being  
45 the types of engineering elements that might be suitable  
46 for mitigating and reinstating or just mitigating?

47

1 MR PAUL: Well, a combination of. So the soil nail option  
2 is more of a mitigation; rock fill or rock fill with  
3 gabions - the rock fill and gabions are a similar type of  
4 solution - is remediation; and groundwater is a mitigation.  
5 So it's a combination.

6

7 MR COSTELLO: Thank you. And you've considered each of  
8 those options in preparing your most recent report?

9

10 MR PAUL: Yes.

11

12 MR COSTELLO: All right. Let me just go to your most  
13 recent report. This is DPA.0005.0001.0001. I'm going to  
14 formally tender this report at the end of the hearing,  
15 Mr Paul, but, once it's on the screen, this is your  
16 remediation and mitigation report?

17

18 MR PAUL: That's right.

19

20 MR COSTELLO: All right. And that report is true and  
21 correct --

22

23 MR PAUL: That's correct.

24

25 MR COSTELLO: -- so far as you're aware, with no  
26 corrections? Thank you. Now, perhaps the easiest way to  
27 do this, Mr Paul, is could you just outline what it is that  
28 you think ought be done at the site, and then I might ask  
29 you some specific questions about it. I can take you to  
30 some of the maps if you want, or if you'd like to have one  
31 on the screen immediately just say so.

32

33 MR PAUL: Maybe we bring up the drawings and I can talk to  
34 the drawings.

35

36 MR COSTELLO: Okay. Could we go to - I think it starts  
37 with 0019.

38

39 MR PAUL: Yes, that's fine. We'll start there.

40

41 MR COSTELLO: All right. Thank you.

42

43 MR PAUL: So the concept with the rock fill very simply is  
44 we know we've had soil removed and just travelled down and  
45 impacted 3 Penny Lane. The concept is to reinstate that  
46 but to reinstate it with materials that don't have the same  
47 susceptibility to landslide to the soil that was there, and



1 that's the simple concept of it. So we use rock fill. We  
2 use rock fill because good angular rock fill is  
3 interlocking and has good strength, but most importantly it  
4 is free draining, so any water that does seep in can seep  
5 through that rock fill and out. So this is a solution.  
6 It's very commonly used on road fill embankments after  
7 landslides take out a road fill embankment because you get  
8 the rock fill in there. It's reasonably cost effective.  
9 So that's the concept. At the base of the rock fill to  
10 just give it some support so we don't have a risk for rocks  
11 themselves to move, there's an abutment, a little piled  
12 wall down the bottom there. We do have to remove all the  
13 debris arising from the landslide and the damaged house at  
14 3 Penny Lane, and then - so that's the rock fill solution.

15  
16 MR COSTELLO: Can I just ask you a question in connection  
17 with the rock fill. So in essence it's a replacement of  
18 what was - where soil previously existed and has moved down  
19 the slope --

20  
21 MR PAUL: M'hmm.

22  
23 MR COSTELLO: -- rather than replacing it with soil,  
24 replacing it with rock fill?

25  
26 MR PAUL: That's right.

27  
28 MR COSTELLO: How big are these rocks?

29  
30 MR PAUL: Up to about half a metre, yeah.

31  
32 MR COSTELLO: And that is reinforced, if that's the right  
33 word, with a bored pile wall, and that's a gabion wall?

34  
35 MR PAUL: No, it's not a gabion wall. These are concrete  
36 piers.

37  
38 MR COSTELLO: Straight in?

39  
40 MR PAUL: Yeah, that are bored in with a wall, called  
41 ground beam, connects the concrete piers together. It's  
42 only about 600 mill high, but it's just providing sort of  
43 shoring and buttressing to the base of the rock fill.

44  
45 MR COSTELLO: All right. What are the other elements of  
46 your concept?  
47

1 MR PAUL: With the rock fill what we would seek to do, it  
2 put back the land that was lost. So you would get the -  
3 the level area up at 10-12 View Point Road would be  
4 reinstated with this sort of solution. If we go forward  
5 there's a plan - I think it's about the third or fourth  
6 along - with the wells. Actually, if we go back to the  
7 sections I can talk to it a bit more. Thank you. The  
8 bottom left section sort of shows it there. So this is  
9 derived from the surveys, before and after the landslides,  
10 so we can see what's been removed, and we are replacing it  
11 with rock fill.

12  
13 So the way that rock fill would get in there is we'd have  
14 to bring - we've had a contractor look at this. They come  
15 in from Nepean Highway and work their way up building the  
16 rock fill from the bottom up. So that's why we'd have to  
17 remove all the debris at the base, to get access to be able  
18 to do that, and place the rock fill from the bottom up,  
19 you've got to keep the rock fill wide enough so that we can  
20 safely work there to mitigate risk of materials keep coming  
21 up. But we don't really need to do anything from the top.  
22 Just build it up from the bottom. You would probably use  
23 the local granite, the Dromana granite diorite, which can  
24 be quarried from the area, so you can try to get it to  
25 match in reasonably well, and then over time it will sort  
26 of grow over and vegetate. So that's the rock fill.

27  
28 Down the bottom you can see a two-by-two metre gabion wall.  
29 So as part of protecting the houses along Point Nepean  
30 Road, we've got the road reserve of Penny Lane, so a  
31 barrier. Now, that barrier could take various forms, but  
32 the purpose of it is, if you did get a rainfall-induced  
33 landslide or you've got another similar landslide to '22,  
34 you've got a barrier between where that landslide will come  
35 down and the houses, designed to prevent the debris from  
36 impacting the house.

37  
38 MR COSTELLO: Gabion wall are these things that are  
39 relatively commonly seen, wire mesh with rocks inside?

40  
41 MR PAUL: Correct, and, again, you would try to use the  
42 local Dromana granite and try to blend it in as best you  
43 can.

44  
45 MR COSTELLO: I see.

46  
47 MR PAUL: And it can be placed on the road reserve of

1 3 Penny Lane, so that could be put into public land and can  
2 run all the way along Penny Lane as a barrier. Now, it  
3 doesn't have to be gabions. There's lots of other forms of  
4 rockfall barrier. There are fences, there's concrete  
5 walls. But I sort of put gabions there because I thought  
6 it blends in nicely and gives good aesthetics. So gabion  
7 walls at the bottom. Then if we go forward, another  
8 element of the mitigation is the wells. Perhaps go forward  
9 a couple on that.

10  
11 MR COSTELLO: Move to the next page?

12  
13 MR PAUL: Yeah, just the next page is fine. I think it's  
14 the next page or the one after. That one there, that's  
15 showing - you know, we've looked at how you would get in  
16 there to put the rocks in. So a bit of work done here to  
17 work out how you would get a temporary ramp in from the  
18 bottom up to be able to place the rock fill. That's what  
19 that's showing.

20  
21 MR COSTELLO: That's what that diagram is, is it?

22  
23 MR PAUL: Yeah, that's right. That's showing a ramp  
24 coming in from Penny Lane. It just gets the machines up  
25 there to place the rock fill, which then that ramp is  
26 removed after. It's a temporary track to get the rock in,  
27 and to get the debris out. You've got to clear out debris  
28 if you're going up.

29  
30 Next one after, I think it's the last one which shows the  
31 well locations. Next one. So exactly how we configured  
32 them, but up in View Point Road again on the public land a  
33 series of well points. So these just are wells that  
34 provide access to the shallow aquifer so that water could  
35 be removed in the event it needed to be. I looked at  
36 options of whether you would - you know, because you can  
37 have systems like this that have pumps permanently  
38 installed and, you know, once it detects groundwater  
39 raising, can turn on. But I don't feel that in this case  
40 we would need to get to that level.

41  
42 These would be wells you put in in case you ever needed  
43 them, and you would bring the pumps out to pump it out.  
44 I think the frequency we would expect to see elevated  
45 groundwater it's not - you know, it's over a period of - a  
46 frequency of years or maybe even decades based on  
47 historically. So it's just a case if the wells are there,

1 that if we needed them we can get access straightaway to  
2 pump groundwater out should it be elevated.  
3  
4 MR COSTELLO: There's not pumps permanently in the wells?  
5  
6 MR PAUL: No. No. You could if you wanted to, but my  
7 view is you wouldn't need to because the pumps would sit  
8 there for a decade rusting because we wouldn't operate them  
9 frequently enough. It's just put the wells in so you've  
10 got access should you need it, then you bring a submersible  
11 pump out and pump out if you're required to.  
12  
13 MR COSTELLO: When you say "should you need it", do you  
14 mean, for example, in the event of unseasonal rainfall?  
15  
16 MR PAUL: It wouldn't be so much --  
17  
18 MR COSTELLO: What would trigger the need to --  
19  
20 MR PAUL: It - because what you would have is you'd have  
21 wells that are already there monitoring the groundwater  
22 pressures, and so you would have a threshold that if the  
23 groundwater rose or the groundwater pressures increased to  
24 a predesigned threshold you would then act. Now, that's  
25 looking at not rainfall-induced type landslides, which the  
26 rain is just going to fall on the surface. This would be  
27 looking at water migrating into the slope, which could be  
28 from rainfall from upslope and coming through the natural  
29 aquifers or it could be from future pipe leakages. But  
30 it's water that comes through the subsurface. It wouldn't  
31 do anything for direct rainfall infiltration onto the  
32 surface. It's similar to what - you know, similar to the  
33 mechanism that we think caused the '25 landslide.  
34  
35 MR COSTELLO: But that's just an extra layer of  
36 protection?  
37  
38 MR PAUL: That's right, yeah.  
39  
40 MR COSTELLO: And would allow for extraction of water in a  
41 more efficient way?  
42  
43 MR PAUL: Yeah.  
44  
45 MR COSTELLO: This is something similar to the notion that  
46 has been talked about at various points about spear pumps  
47 having been put in when there was a surplus of water

1 around. This would provide a mechanism by which water  
2 could be extracted efficiently?  
3  
4 MR PAUL: That's right, yeah. It's there. The well  
5 doesn't do anything for most of the time, but it's there if  
6 you need it.  
7  
8 MR COSTELLO: Could we just go back to page 0019, please.  
9 Perhaps if we could just blow up the area close to the  
10 green. So on this diagram, Mr Paul, the green is the area  
11 where the rock fill will be placed?  
12  
13 MR PAUL: That's right.  
14  
15 MR COSTELLO: And at the bottom you've got the pile wall  
16 that you've recommended to be 600 mill high?  
17  
18 MR PAUL: That's right.  
19  
20 MR COSTELLO: And how far into the ground do those piles  
21 need to be bored? Do they need to go all the way down into  
22 the granite?  
23  
24 MR PAUL: Well, at that point down there there would be  
25 granite from very shallow. So, yes, they would go into the  
26 granite. How far, look, it's probably something like five  
27 or six metres. A detailed design would work that out.  
28  
29 MR COSTELLO: And the arc that you have drawn there for  
30 the pile wall, you've considered whether or not that's  
31 likely to be structurally sound in the event that there was  
32 a slide of rock pile into that wall?  
33  
34 MR PAUL: Yeah, that - arches are stronger, but it's also  
35 following the contours that we've got through there to try  
36 to get it so it's level. You don't want it to be sort of  
37 stepping down the slope.  
38  
39 MR COSTELLO: I'm going to come to some matters of  
40 aesthetics towards the end perhaps, but you mentioned the  
41 idea that the rock pile would settle down into the ground  
42 and then it might be able to be vegetate - vegetation might  
43 be able to grow over the top; is that right?  
44  
45 MR PAUL: Yeah, yeah, you can do. Yeah, you can grow  
46 vegetation over the top.  
47

1 MR COSTELLO: Do you have in mind sort of creepers or --

2

3 MR PAUL: Yeah, that type of thing. You can even, like,  
4 leave parts of the rock fill out and have like a pot,  
5 I suppose. But you can put spots within the rock fill or  
6 embed spots within the rock fill where you can grow  
7 vegetation on it. But they tend to grow over. Once the  
8 rock fill - even though it's rock, once it's been there for  
9 a while, they do tend to get sort of grasses and things  
10 grow over the top of them. You probably wouldn't get trees  
11 growing through it, but you could create provision for that  
12 if you wanted to.

13

14 MR COSTELLO: I wanted to ask about trees because there's  
15 been evidence in the course of the hearing about the  
16 suction power of trees. I think it was Mr Pope that spoke  
17 about it sort of having the power of a vacuum cleaner, some  
18 of these gums. There's no provision for trees here. Is  
19 that deliberate? Would it be advantageous to have trees to  
20 be drawing water out, or do trees present more of a risk  
21 than they do a benefit?

22

23 MR PAUL: It's advantageous to have trees, and you would  
24 promote vegetation other than on the rock fill, where it's  
25 difficult for trees to grow, you would certainly encourage  
26 vegetation to grow everywhere else. Yeah. The rock fill  
27 helps bring the water - because the rock fill's permeable,  
28 any water that's sort of seeping into it, any rainfall that  
29 goes on goes into the permeable rock fill and comes  
30 straight out. That's part of the design.

31

32 MR COSTELLO: So the gabion wall then is further down the  
33 slope?

34

35 MR PAUL: M'hmm.

36

37 MR COSTELLO: And you mentioned before that it needn't be  
38 that type of wall, and you say that in your report at  
39 I think it's 3.2.3, paragraph 31 you say there are other  
40 wall types. What other wall types do you have in mind?

41

42 MR PAUL: It could be there's - you can get wire type  
43 fences that are debris flow fences that are designed to  
44 absorb the energy. They're sort of maybe two or three  
45 metres high, and they've got stays that tie them back, and  
46 they're just designed to take energy of impact. They're  
47 wire. You could do concrete walls if you wanted, high

1 enough to do it. In some places I've seen earth bunds just  
2 used as - just an earth bund, but I'm not sure, you might  
3 struggle with the room to put it here.  
4

5 MR COSTELLO: A gabion wall just sits on the ground; it's  
6 not piled in?  
7

8 MR PAUL: Can do. I don't think with - again, more  
9 analysis would be needed to - but it's about how much mass  
10 has it got to absorb the energy. These things, you don't  
11 want them too rigid. They need to absorb the energy, so  
12 they've got to deflect a bit when they get impacted. But  
13 you run simulations and analysis to check that. But you  
14 can pin them down if they need to be pinned down.  
15

16 MR COSTELLO: So is it fair then to say that one of the  
17 reasons that you recommended that was that you thought it  
18 would be sufficient to absorb the forces that might come at  
19 it, but also you thought it might be a more aesthetic  
20 option than some of the other options?  
21

22 MR PAUL: Yeah, that's right. And constructability is  
23 easy with these. So you would prefill the gabions offsite,  
24 and then you just come and just plonk them on. So  
25 efficient to build.  
26

27 MR COSTELLO: I just want to ask you one more thing, and  
28 then I'm going to go to Mr Pope to have him explain his  
29 solution. I might just put the paragraph on the screen.  
30 If we could go to 0011 of the report, please, 3.2.2. You  
31 do mention in the course of your report, Mr Paul, the  
32 possibility of an upgrade of water-bearing services?  
33

34 MR PAUL: M'hmm, m'hmm.  
35

36 MR COSTELLO: Which is coming up on the screen now.  
37

38 MR PAUL: Yep.  
39

40 MR COSTELLO: Is your screen working in front of you?  
41

42 MR PAUL: I do have it, yes.  
43

44 MR COSTELLO: You've noted there that some of the pipes  
45 are asbestos cement that were installed in the 1950s and  
46 are brittle. Do you have a positive view that those pipes  
47 should be replaced, or are you raising it for

1 consideration?

2

3 MR PAUL: Raising it for consideration. We've seen  
4 evidence that those pipes have leaked and the relatively  
5 high rate or frequency of leaks from those pipes. They are  
6 getting - they're aged. So an option could be to upgrade  
7 them.

8

9 MR COSTELLO: That's the mains water pipes at 29, and then  
10 at 30 you mention the sewer pipes?

11

12 MR PAUL: M'hmm.

13

14 MR COSTELLO: And did you have any particular concern  
15 about the sewer pipes and what they are made of?

16

17 MR PAUL: It's not so much what the sewer pipes are made  
18 of, which is the vitreous clay. It's, as we've heard, that  
19 the bedding materials around them are a conduit for  
20 ground - or can be a conduit to bring water into the slope.  
21 So it might be redoing all those trenches, and what you can  
22 do, put in a feature called trench stop. So if water is  
23 flowing down through those gravels it meets the impermeable  
24 barrier in the trench stop and it kind of forces it up so  
25 it doesn't migrate further, and that could be actually  
26 something you could retrofit and you wouldn't need to  
27 replace necessarily all of the sewers. You could come and  
28 put stops in to help control the flow of water along the  
29 trenches.

30

31 MR COSTELLO: Mr Paul, I'll come back to you, but I'm just  
32 going to pass to Mr Pope for now. Mr Pope, I'll bring your  
33 report up on the screen. It's MSC.5088.0001.0007. It's  
34 dated 11 August 2025. Does that look right to you,  
35 Mr Pope?

36

37 MR POPE: Yes.

38

39 MR COSTELLO: That report is true and correct?

40

41 MR POPE: Yes.

42

43 MR COSTELLO: Embodies your views on the question of  
44 mitigation?

45

46 MR POPE: Yes.

47



1 MR COSTELLO: Thank you. Now, I mentioned with Mr Paul  
2 the four potential engineering solutions that he had  
3 identified, being soil nails and shotcrete, rock fill,  
4 reinstate the slope and the gabion wall, and putting in  
5 groundwater wells. Have you considered each of those  
6 potential solutions?  
7  
8 MR POPE: Yes.  
9  
10 MR COSTELLO: And it's fair to say, isn't it, that your  
11 report seeks to deal with mitigation but not remediation?  
12  
13 MR POPE: Yeah, I'm not looking to reinstate the land  
14 form, that's correct.  
15  
16 MR COSTELLO: Yes. Thank you. And you have proposed two  
17 alternate solutions but you've got a preference for one.  
18  
19 MR POPE: Yes.  
20  
21 MR COSTELLO: But perhaps I'll let you explain, and, as  
22 with Mr Paul, if you'd like me to go to any part of  
23 the report so that those following can better understand --  
24  
25 MR POPE: I think it's probably the easiest way to do it,  
26 from figure 2(b) onwards, which is I think page 60, or  
27 0060.  
28  
29 MR COSTELLO: I think that starts at 0058. 0059 is - do  
30 you want 2(a)?  
31  
32 MR POPE: 2(b).  
33  
34 MR COSTELLO: I think that's 3(a). If we start at 0059,  
35 which should be internal 17.  
36  
37 MR POPE: Yeah, we can start there.  
38  
39 MR COSTELLO: Is that a good starting point?  
40  
41 MR POPE: That will do. But this isn't any different to  
42 the 2022 remediation that I put forward.  
43  
44 MR COSTELLO: So in general - I'm going to let you  
45 explain, but just to set the scene, if you like, perhaps -  
46 well, one of the primary elements of your solution is soil  
47 nails?

1  
2 MR POPE: Yeah, correct.  
3  
4 MR COSTELLO: And you and I have had a dialogue about that  
5 I think the very first time you gave evidence in connection  
6 with your 2022 mitigation report?  
7  
8 MR POPE: Yes.  
9  
10 MR COSTELLO: And at that hearing block I asked you some  
11 questions about reports and solutions proposed then by  
12 CivilTest, which envisaged in effect terraced retaining  
13 walls.  
14  
15 MR POPE: Yes.  
16  
17 MR COSTELLO: And you I think were opposed to that  
18 proposal. You doubted the efficacy of the proposal. At  
19 least you thought that soil nails were a better solution?  
20  
21 MR POPE: Yes.  
22  
23 MR COSTELLO: And that was only in respect of the 2022  
24 land area. In respect of the whole of the land area, 2022  
25 and 2025, you now propose the use of soil nails; is that  
26 right?  
27  
28 MR POPE: Potentially, yes. You just - it's a very  
29 similar system, and, as I said in May, you can - it  
30 responds quite well to the land form. So I basically  
31 applied the same design to the majority of the gully from  
32 the '25 landslide, but in the upper parts of the headscarp  
33 that's where the detail's a little bit different. So I'm  
34 proposing a shotcrete wall. The shotcrete wall has more  
35 nails in behind it as well. You would also sensibly have  
36 drainage behind that wall. And the only other addition is  
37 allowing for a series of tightly spaced incline drains for  
38 the colluvial layer, so where the water was coming out this  
39 year, January/February, there's a - at half-metre centres  
40 there's a whole bunch of inclined drains, and those drains  
41 themselves - Darren and I talk to this later on about  
42 maintenance, but there is some redundancy in that spacing,  
43 having them at half a metre. So you might not need them  
44 that closely - closely spaced, but --  
45  
46 MR COSTELLO: You're talking about the spacing of the  
47 drains there?

1  
2 MR POPE: Yes, yep, yep.  
3  
4 MR COSTELLO: All right. Let me try and break that all  
5 down a little bit. So the first --  
6  
7 MR POPE: If we go forward a figure, it might help.  
8  
9 MR COSTELLO: Yes, sure.  
10  
11 MR POPE: Two pages, sorry. Go forward two pages. Yep.  
12  
13 MR COSTELLO: That one?  
14  
15 MR POPE: Yeah.  
16  
17 MR COSTELLO: So let me just see if I properly understand  
18 this. The first element is the use of soil nails to in  
19 effect pin the hill?  
20  
21 MR POPE: With the mesh, yes. Yeah.  
22  
23 MR COSTELLO: Together with the mesh; that's right?  
24  
25 MR POPE: Yes, correct.  
26  
27 MR COSTELLO: And the combined effect of the soil nails  
28 and the mesh is to provide a degree of stability in the  
29 slope?  
30  
31 MR POPE: Yes.  
32  
33 MR COSTELLO: And you also propose the use of shotcrete.  
34 I wasn't quite sure from your report, is the shotcrete just  
35 at the upper part of the slope or is it over the whole of  
36 the area?  
37  
38 MR POPE: If you go to the next page - sorry, next one  
39 again, the yellow --  
40  
41 MR COSTELLO: Just the yellow?  
42  
43 MR POPE: Yellow, yes.  
44  
45 MR COSTELLO: Thank you. And shotcrete is just a form of  
46 concrete that can be exploded onto a wall, in effect?  
47

1 MR POPE: Sprayed onto the wall. We'd put some mesh in  
2 there, and you'd install the nails in rows, and you  
3 progressively trim that slope, put a row of nails in,  
4 shotcrete, trim the slope, put another row of nails in,  
5 shot - you just incrementally move down, install the rows  
6 and then install the shotcrete. In the shotcrete you would  
7 have some central mesh to make it more - reinforced  
8 concrete, basically.  
9  
10 MR COSTELLO: The shotcrete is used in that portion of  
11 the slope because you consider that that part of the slope  
12 needs a greater degree of reinforcement?  
13  
14 MR POPE: There's very few options there given the  
15 proximity to the dwelling, yes. Yep.  
16  
17 MR COSTELLO: The soil nails, are they evenly spaced?  
18  
19 MR POPE: Yes.  
20  
21 MR COSTELLO: And how do they - how do you get them in as  
22 a matter of practicality?  
23  
24 MR POPE: So for a site like that the two contractors that  
25 I work with, they have portable drilling rigs and they  
26 basically set them up. There's a drill rig that they have  
27 to literally physically set up there. They don't track it  
28 in. They've actually have to bring it in and set it up.  
29 It's like a hand drill but it's big. It's big. I don't  
30 want to say you lift it. I think they'd have to crane it  
31 in. But, yeah.  
32  
33 MR COSTELLO: Crane it in from View Point Road, would  
34 they?  
35  
36 MR POPE: Yes, yep.  
37  
38 MR COSTELLO: And then what? There's just people going  
39 down the slope on ropes?  
40  
41 MR POPE: Yes.  
42  
43 MR COSTELLO: I see. And are the soil nails then  
44 permanently visible?  
45  
46 MR POPE: The heads of them will be, yes. Not so much in  
47 the shotcrete but on the - there's photos at the back of

1 the report from an example in Geelong. But, yeah, they  
2 are, the heads are visible.  
3  
4 MR COSTELLO: These soil nails with the mesh are of a kind  
5 that you sometimes see on the side of roads?  
6  
7 MR POPE: Yes, correct. Yeah.  
8  
9 MR COSTELLO: Actually perhaps if we go forward about  
10 three or four pages. Yes, actually that's fine. So this  
11 is an example here, is it?  
12  
13 MR POPE: Yes, correct.  
14  
15 MR COSTELLO: That's the head of the soil nails?  
16  
17 MR POPE: Yes.  
18  
19 MR COSTELLO: And, as you propose, there's a mesh here  
20 that's also stabilising that particular slope?  
21  
22 MR POPE: Correct. It's almost - it's a very similar  
23 design, with the exception that that brown underlay I don't  
24 think we would recommend.  
25  
26 MR COSTELLO: Why's that?  
27  
28 MR POPE: It tends to - it's supposed to help with  
29 erosion, which it does, but it also retards growth of  
30 plants. So it's a balance of if you have it in there you  
31 don't have erosion, but if you - then you stop all the  
32 shrubs growing through. So, yeah.  
33  
34 MR COSTELLO: I see. So on your plan, although there are  
35 a lot of soil nails pinning the hill, there would be the  
36 capacity for plants to grow?  
37  
38 MR POPE: Small shrubs, grasses, yeah. You can't have  
39 trees growing through this sort of set-up.  
40  
41 MR COSTELLO: Are these soil nails made of metal, or do  
42 they come in carbon fibre these days?  
43  
44 MR POPE: You've got fibreglass options. The complexity  
45 of being near the bay that you have to think about is gal  
46 steel is not - probably not the best option unless you  
47 allow for a lot of loss from proximity to the ocean. So we

1 have gone with fibreglass there for durability reasons, and  
2 the mesh is stainless steel. You can do galvanised bars.  
3 So you can do steel bars. You've just got to be really  
4 careful with the detailing. Yeah.

5  
6 MR COSTELLO: You haven't proposed the installation of  
7 groundwater wells?

8  
9 MR POPE: No.

10  
11 MR COSTELLO: But you have proposed installation of  
12 drains?

13  
14 MR POPE: Drains, yes.

15  
16 MR COSTELLO: And how do the drains work here?

17  
18 MR POPE: You literally just incline them at - you --

19  
20 MR COSTELLO: Down the slope?

21  
22 MR POPE: Up. So at the - where the groundwater was  
23 emanating from the hill you'd basically get the same drill  
24 rig and you just drill it at an inclined angle back up or  
25 try and match that layer, but it will be gently inclined  
26 uphill. So you're drilling them uphill, basically. So  
27 the - yep.

28  
29 MR COSTELLO: How long do the soil nails last?

30  
31 MR POPE: That's a good question because - like, north of  
32 50 years for the fibreglass. But it could be longer. But  
33 no-one's - that I'm aware of is super keen on saying  
34 100 years. We're not too sure. But at least 50, yeah.

35  
36 MR COSTELLO: You don't seek to reinstate the geometry of  
37 the land form. Is that because you think that the slope  
38 will be safer by not restoring it to its previous  
39 condition?

40  
41 MR POPE: I'd rather respect what the land form's saying,  
42 where it's stable in its own - well, I don't like using  
43 that word, but I'd rather respect the land form than try  
44 and bring fill in and increase the loads again because as -  
45 you know, my view was that it was fill. It doesn't seem  
46 sensible to bring fill back in for me. You can do it, but.  
47

1 MR COSTELLO: I just want to ask you about a couple of  
2 concepts that you touch on in your report. If we could go  
3 to 0048 of that document, please. Here in the design  
4 assumptions you note a couple of things. The first is  
5 rebuilding and return of people to 3 Penny Lane will be  
6 based on satisfactory future planning and building approval  
7 works that must include a landslide risk assessment. Is  
8 that a landslide risk assessment that would be conducted at  
9 the completion of these mitigation works?

10  
11 MR POPE: Yeah, you'd have to wait, yes.

12  
13 MR COSTELLO: I'll come to questions of timing later.

14  
15 MR POPE: You should wait. I've had experience on State  
16 land where the property owner had to wait until the State  
17 has finished remediating something down the hill.

18  
19 MR COSTELLO: Okay. Thank you. And we've discussed 2  
20 already about the land form geometry. 3, you're speaking  
21 about minimum FOS of 1.5?

22  
23 MR POPE: Factor of safety, yes, yep.

24  
25 MR COSTELLO: And that's the minimum requirement?

26  
27 MR POPE: That would be the minimum. I have a feeling  
28 that the nails and the design to bridge code would have a  
29 higher factor of safety, so the most stringent would apply.  
30 I think your factor of safety would be north of 1.5.

31  
32 MR COSTELLO: That's something to be assessed once the  
33 detailed design work has been completed?

34  
35 MR POPE: Yes.

36  
37 MR COSTELLO: And any design would need to meet at least  
38 1.5; is that the point?

39  
40 MR POPE: Council has expressed that's their minimum  
41 requirements, yeah.

42  
43 MR COSTELLO: You mention in 5 Australian Standards. Are  
44 there any relevant Australian Standards for this type of  
45 slope stabilisation?

46  
47 MR POPE: There's sort of bits and pieces. So the

1 retaining wall standard excludes landslides. But then the  
2 fundamentals of retaining wall design are first principles  
3 engineering matters anyway. So parts of the retaining wall  
4 standard, and then parts of bridge code especially when  
5 you're tensioning nails and bolts, and there would be a  
6 little bit of AS3600 for reinforced concrete and stuff like  
7 that; yeah.

8

9 MR COSTELLO: Before I move to another topic I just want  
10 to make sure I properly understand it. Perhaps I'll just  
11 ask it to you in an open way. How does your design  
12 mitigate groundwater?

13

14 MR POPE: So for the '22 area that was - I just fully  
15 saturated the surficial soils. So it just was - I just  
16 fully loaded it with groundwater and then just set the  
17 spacing to respond to that. So it didn't need drains.  
18 It's designed to be fully saturated, which on a 40-degree  
19 slope sounds a bit wild. So it's a conservative view.

20

21 With '25, though, because you have the gully there,  
22 that's why I've got the half metre spacing on the incline  
23 drains, plus you'd have the ability to do the same with the  
24 nail design. So you can model full saturation and change  
25 your spacing as you need if - but, yeah, that's definitely  
26 a matter of detailed design. But, yep.

27

28 MR COSTELLO: I'm going to ask you each to comment on the  
29 other's concept in a moment. Before that I just want to  
30 deal with one discrete topic which is maintenance. If your  
31 works were implemented, Mr Pope, is there ongoing  
32 maintenance that's necessary to maintain the integrity of  
33 the work?

34

35 MR POPE: Yes.

36

37 MR COSTELLO: What type of work is required and how often  
38 does it need to be undertaken?

39

40 MR POPE: I've crudely just said five years. But,  
41 realistically, there's a series of things you should do  
42 with any sort of engineered system, to be honest, not just  
43 these. But basically you would - within two to five years  
44 you come back and check the tension in the nails and  
45 retension if needed. So that is the contractor would  
46 return and check the system.

47



1           Probably on that same sort of two to five years you'd  
2 be inspecting your drains. Like, you should actually get a  
3 plumber to inspect your drains at your house, but not many  
4 people do. So that's sort of a period of flushing drains  
5 and cleaning your incline drains. And then trimming of  
6 vegetation. So gum trees are pretty determined things. So  
7 they tend to grow in silly places. So you'd be coming back  
8 to prune trees as well.

9  
10       MR COSTELLO: On a roadside highway side job it's pretty  
11 easy to identify responsibility for those types of works.  
12 Have you ever been involved in this type of work being  
13 conducted on private land?

14  
15       MR POPE: In this way with three private properties like  
16 this, I don't think so, no.

17  
18       MR COSTELLO: I want to come back to another question  
19 about soil nails in a minute but before just to keep the  
20 sequence, Mr Paul, if your concept was taken to final  
21 design stage and implemented would there necessarily be  
22 ongoing maintenance that was required?

23  
24       MR PAUL: No, there's no ongoing maintenance for the rock  
25 fill. There's a structural component down the bottom that  
26 occasionally inspect it to make sure it's not cracking or  
27 something. But there's no ongoing maintenance. The wells  
28 at the top, it would be prudent I think to every now and  
29 again just check that they're clear. But that's about it,  
30 yeah.

31  
32       MR COSTELLO: Just to be clear, and I ought to have asked  
33 you this before, the positioning of the wells, as you've  
34 done it on the map that we had up there, is that on council  
35 land?

36  
37       MR PAUL: Yes, I've put in the road reserve deliberately.

38  
39       MR COSTELLO: Mr Pope, I just want to ask one further  
40 question about soil nails while it's in my mind. I imagine  
41 that the efficacy of soil nails must be dependent at least  
42 to some extent on the soil type; is that right?

43  
44       MR POPE: Yes.

45  
46       MR COSTELLO: And you have given a lot of thought to the  
47 soil type here. You're comfortable that the soil type here

1 is one that will enable soil nails to work in the way that  
2 they're required to work to properly pin the hill?  
3  
4 MR POPE: Yes, yep.  
5  
6 MR COSTELLO: Thank you. I think what I might do at this  
7 point, Mr Paul, is give you the opportunity to make any  
8 comments that you would wish to make about Mr Pope's  
9 proposal, and then I'll allow Mr Pope to do the same thing.  
10 So let me just structure it a little and then I'll give you  
11 free range. You've analysed Mr Pope's proposal?  
12  
13 MR PAUL: I have, yes.  
14  
15 MR COSTELLO: Just as a starting point, whether it's  
16 preferred or not, do you consider that Mr Pope's proposal  
17 would work to properly stabilise that slope?  
18  
19 MR PAUL: It would work to mitigate the risk, is the words  
20 I tend to use, rather than stabilise the slope. It's all  
21 about risk mitigation and risk reduction.  
22  
23 MR COSTELLO: So let me put it in a different way then.  
24 Are you confident that - no, I'll remove the degree of  
25 confidence. Are you of the opinion that Mr Pope's proposal  
26 would adequately mitigate the risks here?  
27  
28 MR PAUL: It would mitigate the risk, with the caveat that  
29 it needs development still --  
30  
31 MR COSTELLO: Of course.  
32  
33 MR PAUL: -- and the proper risk assessments et cetera.  
34 But, as a concept, you could say as a concept it's a valid  
35 concept to pursue if that was the way we wanted to go.  
36  
37 MR COSTELLO: I see. So there's nothing that you've seen  
38 from the preliminary work that's been done that indicates  
39 that this concept would not work?  
40  
41 MR PAUL: No showstoppers, we'll say. Considerations, but  
42 no showstoppers I'd say at this point.  
43  
44 MR COSTELLO: Perhaps before I flick back to you for more  
45 general comment, Mr Pope, you've examined Mr Paul's  
46 proposal?  
47

1 MR POPE: Yes.

2

3 MR COSTELLO: Do you consider that Mr Paul's proposal  
4 would adequately mitigate the risk in respect of this  
5 slope?

6

7 MR POPE: Yes.

8

9 MR COSTELLO: Thank you. Mr Paul, why do you prefer your  
10 proposal to Mr Pope's?

11

12 MR PAUL: So I guess it speaks to my background doing this  
13 type of work. One, I think the key considerations is the  
14 maintenance requirements going forward. So where I've been  
15 involved with, like you mentioned before, landslide risk  
16 mitigation works on private property, I find that councils  
17 I've worked with do not want that because who enforces the  
18 ongoing maintenance of the systems on private property,  
19 particularly if the integrity of that system is important  
20 for protection of, you know, other houses in this case  
21 downslope. So you've got a mitigation on one property  
22 which, if that mitigation were to fail, you've got an  
23 impact to something off slope.

24

25 So there needs to be some method of enforcing the  
26 maintenance of it. I've found councils are resistant to  
27 that. I have had experience of I think in my career about  
28 twice I've seen it done where there's what's called a  
29 section 173 agreement which gets entered into between the  
30 council and the landowner to, you know, put obligations on  
31 maintaining the system. But it's rare and not preferred.

32

33 I suppose the other thing I come with the background  
34 of doing this type of work in places like national parks  
35 where you've got to respect the natural environment, you've  
36 got to - you know, we can't put hard mitigation measures in  
37 place often. And so I come with the background of trying  
38 to get it to blend in a bit. So that's why those sort of -  
39 that experience, I guess, has taken me to the option I've  
40 put forward as my preferred option.

41

42 MR COSTELLO: I want to ask you - I might just go back to  
43 Mr Pope's report, which I think is on the screen at the  
44 moment. Could we just go to 0063. Thank you. Mr Paul,  
45 what's about to come up is one of the diagrams that I've  
46 already discussed with Mr Pope which includes in yellow the  
47 area of the proposed shotcrete wall. I'm sure it will come

1 back in a moment. While we're waiting for that to come up,  
2 do you have in mind what I'm talking about?

3  
4 MR PAUL: I've got it.

5  
6 MR COSTELLO: You've got it there?

7  
8 MR PAUL: I've got the image here, yes.

9  
10 MR COSTELLO: There's the yellow portion at the top  
11 left-hand side which is the proposed shotcrete wall in  
12 Mr Pope's solution. That's obviously a bit of the slope  
13 that Mr Pope is quite concerned about, so concerned that he  
14 thinks that soil nails and mesh might not be sufficient and  
15 shotcrete is required. What is your proposal in respect of  
16 that area? Why is it that soil nails, mesh and shotcrete  
17 are considered necessary by Mr Pope but not by you?

18  
19 MR PAUL: That would be full of rock. So you'd have rock  
20 fill and the weight of the rock fill buttressing that  
21 slope, and that's what's providing the support.

22  
23 MR COSTELLO: And that's a sufficiently viable solution  
24 all the way right up to very close to 6 View Point Road?

25  
26 MR PAUL: Yeah, tried to match the pre-landslide surface.  
27 The rock's slightly proud of the pre-landslide surface and  
28 that's because for construction we can't have machines get  
29 too close to the escarpment. So we've got the bench width  
30 wide enough as you go up. But as far as practical  
31 reinstate what the pre-landslide surface was.

32  
33 MR COSTELLO: Mr Pope, you've had a read of Mr Paul's  
34 report which is a fairly different solution to yours?

35  
36 MR POPE: Yes.

37  
38 MR COSTELLO: You've acknowledged that you think it could  
39 be efficacious. But why do you prefer your proposal?

40  
41 MR POPE: Principally - like, a lot of it for me comes  
42 from a safety and design perspective. The system that I'm  
43 proposing, you roll out top down and your crews are  
44 protected by that system being rolled out. Bottom up is  
45 buildable. But to sit in that gully for an extended period  
46 of time is not something, as a designer, I want to do. You  
47 can do it, but it's not my preference.

1  
2 MR COSTELLO: I see. So, just to make sure that we all  
3 understand that, a significant factor that's led to your  
4 concept has been the safety of implementing the solution?  
5  
6 MR POPE: Yes.  
7  
8 MR COSTELLO: I see. And you view that safety imperative  
9 as driving the soil nail solution that you've come up with  
10 because that can be done top down rather than bottom up; is  
11 that right?  
12  
13 MR POPE: Yes, yes.  
14  
15 MR COSTELLO: And is it the case that Mr Paul's method  
16 necessarily has to be bottom up?  
17  
18 MR POPE: I think it does.  
19  
20 MR COSTELLO: I know it's proposed to be, but I just want  
21 to --  
22  
23 MR POPE: Yeah, I don't think you can do it top down and  
24 make a mess of everything; yep.  
25  
26 MR COSTELLO: Are the risks associated with, in your mind,  
27 working bottom up so significant that that really needs to  
28 be avoided?  
29  
30 MR POPE: No, I said that with Darren last week. You can  
31 do it; you just need the safety systems. You would  
32 probably need a grid of tilt sensors. You'd need your  
33 trigger action response plans to be set up and the crews  
34 trained, which that crew is trained, to evacuate if there  
35 was acceleration of - or landslides within their work area,  
36 basically; yep.  
37  
38 MR COSTELLO: Mr Paul, do you want to comment on those  
39 safety questions?  
40  
41 MR PAUL: Yeah. It's something we deal with with any  
42 landslide mitigation is that you're working in an  
43 environment where there's been a landslide. Inherently  
44 it's a hazardous environment. And so you need to have  
45 contractors and personnel who are experienced working in  
46 that environment. Yes, you do need to have all the safety  
47 protocols in place and you need to work in what's called

1 safety and design. That's why I mentioned with the system  
2 I was talking about keeping the bench width wide enough so  
3 you don't have machines right up underneath an escarpment.  
4 You've got to factor all those things in. But it's doable.  
5 It can be done safely. But, yes, you've got to have the  
6 right processes and the right people involved in the work.  
7  
8 MR COSTELLO: And did you turn your mind to those types of  
9 questions when developing your solution?  
10  
11 MR PAUL: Yeah, absolutely. So we got a contractor,  
12 Whelans, who do this type of landslide mitigation work;  
13 very experienced in it. I've had them look at the site and  
14 they've confirmed to us that they believe it can be done  
15 safely.  
16  
17 MR COSTELLO: Before I move to another topic, Mr Pope, is  
18 there anything else that you want to say about Mr Paul's  
19 concept, pro or con?  
20  
21 MR POPE: The only other thing we talked about is  
22 needing - in dam design it's called a - you have a filter.  
23 Like, so underneath the rock fill in a dam - if you ever  
24 have rock fill in a dam, but anyway, you need to have a  
25 filter underneath it to stop the slope internally eroding.  
26 We did talk about it in the joint report. But it is a  
27 matter of detailed design, but it would need a drainage  
28 blanket underneath it to stop the granitic soils wanting to  
29 erode underneath the rock fill.  
30  
31 MR COSTELLO: The mention of erosion reminds me of  
32 something else. There's existing retaining walls at  
33 10-12 View Point Road?  
34  
35 MR POPE: Yes.  
36  
37 MR COSTELLO: And they're proposed in your concept to  
38 remain where they are; is that correct?  
39  
40 MR POPE: No.  
41  
42 MR COSTELLO: Take them down?  
43  
44 MR POPE: Yeah, they'd be taken down. The reinforced -  
45 the concrete and steel post one, yep.  
46  
47 MR COSTELLO: Same for you, Mr Paul?

1  
2 MR PAUL: Yeah, the damaged wall has to come down, by  
3 virtue it's damaged.  
4

5 MR COSTELLO: But not more? Not more than the damaged  
6 wall? There's no further taking of land not currently  
7 subject --  
8

9 MR POPE: Correct. I'll just double check that I haven't  
10 drawn it otherwise.  
11

12 MR COSTELLO: I think there's a reference in your report,  
13 Mr Pope - I'll just see if I can pull it up - to care  
14 needing to be taken not to undermine the integrity of the  
15 wall that will remain.  
16

17 MR POPE: We've basically gone up near the stonewall but  
18 we're not removing it. You would have to assess the  
19 integrity of it before you started anything. The stone  
20 balustrade rather than the concrete and steel post wall.  
21 Yep.  
22

23 MR COSTELLO: I just want to take you in a minute,  
24 Mr Pope, to one of the diagrams in your report to see the  
25 extent of the works upslope and where they're proposed to  
26 stop.  
27

28 CHAIRPERSON: While we're waiting for that to come up,  
29 Mr Costello, can I ask, Mr Paul, whether you have any  
30 comments in relation to the incline drains suggested by  
31 Mr Pope?  
32

33 MR PAUL: Yeah, so passive drains, it's a common means of  
34 trying to keep water out of a slope. So you drill them in,  
35 and water in the ground is attracted to those drains and  
36 comes out. They can work fine. But the thing with them is  
37 they've got to be maintained. You've got to come back and  
38 take the water out. And that's why I think putting them on  
39 private property and having a maintenance requirement for a  
40 horizontal drain on private property which would need rope  
41 access for someone to come down and clear, would have to be  
42 the plan, that's a consideration that would happen.  
43

44 MR COSTELLO: I'll come back to that in a minute when it's  
45 available. Can I ask some questions acknowledging that  
46 this necessarily requires a degree of estimation. In terms  
47 of the process to get works of the type each of you have

1 proposed fully designed and then undertaken, what sort of  
2 timeline based on your experience would you be looking at  
3 from day of deciding to develop something into a final  
4 concept through to implementation? Perhaps if I start with  
5 you, Mr Pope.

6  
7 MR POPE: There's big assumptions on everyone's happy to  
8 proceed with it, but --

9  
10 MR COSTELLO: No, assume that you've got to get to that  
11 point.

12  
13 MR POPE: Yeah.

14  
15 MR COSTELLO: You get to a point where --

16  
17 MR POPE: And then we're good. 12 months. Within  
18 12 months. That example you put up of Hamilton Highway was  
19 done within 12 months, and that was quite difficult access.  
20 So, yeah.

21  
22 MR PAUL: Yeah, we had Whelans do a schedule. They've  
23 nominated a nine-month construction period. And then of  
24 course, you know, procurement time and design time probably  
25 adds another three months on top of that. So, yeah, it  
26 would be a similar timeframe, about 12 months.

27  
28 MR COSTELLO: So, realistically, nine months, does that  
29 include developing the design concept fully or is that  
30 once it's --

31  
32 MR PAUL: That's the construction period. So you would  
33 need --

34  
35 MR COSTELLO: So you need a period of discussion leading  
36 to an agreement. You need a fully developed plan, and then  
37 you need contractors available to commence the work, and  
38 from the day that they arrive they're likely to be on site  
39 or in control of the site for 12 months; is that about  
40 right?

41  
42 MR PAUL: I'd say you'd have, say - you know, develop a  
43 design, it wouldn't take too long to develop a design.  
44 This might be a month or so. But then you've got a  
45 procurement period to go out to tender. That will probably  
46 take a couple of months before you go that. Then the  
47 contract's put in place, you know, that could even take six



1 months. It depends on the efficiency of the process, but  
2 let's say that takes three before you're on site.  
3  
4 MR COSTELLO: Now, Mr Paul, you mention that you have had  
5 Whelans look at this. Acknowledging that this is not a  
6 fully worked up design, they've had a go at estimating the  
7 price.  
8  
9 MR PAUL: M'hmm.  
10  
11 MR COSTELLO: And it's come in at about \$11 million.  
12  
13 MR PAUL: Yep.  
14  
15 MR COSTELLO: Did that seem about right to you based on  
16 your past experience?  
17  
18 MR PAUL: It's a conservative estimate, I would say, which  
19 I - you know, I said to them, you know, "Be conservative."  
20 It's a conservative estimate. I think there are  
21 efficiencies we could build into it through detailed  
22 design. For example, they've allowed a lot higher rock  
23 volume than I think probably end up needed in their  
24 estimate. They've got quite a high contingency in there.  
25 And, you know, they're pricing it as one company. So once  
26 you optimise the design, once you take it out to a  
27 competitive tender process, you know, you'd think it comes  
28 down. So I'd treat that as an upper limit.  
29  
30 MR COSTELLO: I see. Contrary to all expectation with  
31 getting quotes for construction work, we'll treat that as  
32 the upper limit.  
33  
34 MR PAUL: Yeah, these things are not cheap. They're not  
35 cheap and things tend to blow out, yeah.  
36  
37 MR COSTELLO: Mr Pope, you haven't had your design costed  
38 but let me just ask you and, if you don't have an opinion,  
39 you need only say that. But you've seen the estimate in  
40 respect of Mr Paul's work. Did that strike you as in the  
41 ballpark of what you would expect, not for yours but for  
42 his?  
43  
44 MR POPE: For reinstatement I expect it to be a  
45 significant amount of money, yeah. So it's not a big  
46 surprise. But, what Darren's suggesting, there's probably  
47 some fat in it for sure.

1  
2 MR COSTELLO: Would you expect your work to be cheaper  
3 because it doesn't involve reinstatement or is that an  
4 unfair assumption?

5  
6 MR POPE: It will be cheaper. I'm very confident it will  
7 be cheaper, yeah.

8  
9 MR COSTELLO: Is there any rule of thumb about soil  
10 nail --

11  
12 MR POPE: So council had the rates priced last year for  
13 the '22 design, and it's roughly \$1,300 a square metre.  
14 Full caveat on that; who knows if you'll get the same rate  
15 again after this year. But at 1,300 a square metre for  
16 1,000 square metres it's 1.3 million for the soil nails and  
17 mesh. That was a competitive price, though. So it's  
18 significantly cheaper, but you have the maintenance burden.  
19 Yep.

20  
21 MR COSTELLO: Can I ask a question about aesthetics. Now,  
22 you're both engineers. Neither of you are landscape  
23 architects so I don't expect you to be offering expert  
24 opinion on this, but you've both got significant experience  
25 in implementing design solutions. This isn't a roadside.  
26 It's a residential area in a suburb of a particular nature.  
27 Mr Paul, do you consider that your proposal or Mr Pope's  
28 have any particular advantage from an aesthetic perspective  
29 or ultimately are they both going to green over and be the  
30 same?

31  
32 MR PAUL: The solution I'm proposing uses all natural  
33 material, except for the little concrete wall down the  
34 bottom, natural materials. And, as I mentioned before,  
35 aesthetics are important in a lot of these situations.  
36 I talk particularly if I'm in a national park or something  
37 it's the number one priority for something in a park. So  
38 we try to use the natural stone from the area, and here we  
39 can. There's a quarry that you can mine Dromana granite  
40 from. And we can use the natural stone to try to blend it  
41 in, try to grow it over. So it is important and we can  
42 make it try to look as natural as possible.

43  
44 I suppose the soil nails where you'll have metal  
45 plates on the hill, you have a mesh that's visible, they  
46 grow over a little bit but it's still visible. The  
47 shotcrete is certainly visible. But I think you get better

1 aesthetics using natural material and natural rock.  
2  
3 MR COSTELLO: All right. Mr Pope, do you agree with that?  
4  
5 MR POPE: Yeah, I tend to agree. It's still a big pile of  
6 rocks on a hill, though, or it's a lot of mesh and nails on  
7 a hill. Neither are going to look particularly good.  
8  
9 MR COSTELLO: Is that another way of saying that there is  
10 no design solution that will sufficiently mitigate the risk  
11 but be as aesthetically pleasing as the slope was  
12 pre-slide?  
13  
14 MR POPE: I can't see how you get it looking like it did  
15 in the '90s with all the trees and that sort of stuff in  
16 it.  
17  
18 MR COSTELLO: Thank you. I think we've got documents  
19 working again. So could I have, just to close off on that  
20 issue, MSC.5088.0001.0007. May I have it at 0064, please.  
21 So I just wanted to make sure that the extent of the work  
22 upslope, if you like, is sufficiently understood, and  
23 I thought this might be the best diagram to use. This is  
24 from your report, Mr Pope. Can you see that there's a blue  
25 line?  
26  
27 MR POPE: Yes.  
28  
29 MR COSTELLO: That seems to - I don't know if it travels  
30 along the same path as the black line or if the black  
31 line's stopped. But, in any event, there's a blue line  
32 there. Is that, as the box there indicates, the extent of  
33 the cutback?  
34  
35 MR POPE: That would be where your crest anchors are  
36 placed on top of the mesh, but yes.  
37  
38 MR COSTELLO: Does that mean - you can see there's a tiled  
39 area with some raised garden beds?  
40  
41 MR POPE: South of the blue line, like, down the --  
42  
43 MR COSTELLO: Underneath it. Well, the blue line looks  
44 like it directly intersects two of the raised garden beds.  
45  
46 MR POPE: Yeah, well, the assumption is the garden beds  
47 would be removed.

1  
2 MR COSTELLO: I just want to understand.  
3  
4 MR POPE: Yeah.  
5  
6 MR COSTELLO: Everything on the slope side of the blue  
7 line is to go, is it?  
8  
9 MR POPE: Yes.  
10  
11 MR COSTELLO: And so just to understand how this would  
12 work once the works are completed if one was standing at or  
13 about where one of those garden beds is - you can see that  
14 there's one that's unaffected by the blue line?  
15  
16 MR POPE: Yes.  
17  
18 MR COSTELLO: At the top. If one was standing there where  
19 that garden bed is what would you be looking at? Is it a  
20 sheer drop or is it --  
21  
22 MR POPE: On that, I think we've got it in the temporary  
23 work side of things, the slope angles are different. So  
24 where the shotcrete is it's much steeper.  
25  
26 MR COSTELLO: The shotcrete is on the right-hand side of  
27 where that garden bed is where you'd be facing?  
28  
29 MR POPE: Correct.  
30  
31 MR COSTELLO: Because it's the highlighted yellow bit on  
32 that diagram?  
33  
34 MR POPE: Yeah. So it's probably easier to see on 0041.  
35  
36 MR COSTELLO: 0041. That's actually the one that I was  
37 looking for. Thank you.  
38  
39 MR POPE: Yes. So where the garden beds are we would be  
40 trying to tie into the terrain that was pre-garden. So  
41 35 degrees with soil nails and mesh. It will behave - that  
42 system will behave really well there. So literally you go  
43 from a gentle slope to a 35-degree break in slope. But  
44 pretty much most of the escarpment is gentle slope to a  
45 40-degree break in slope. So it's pretty similar, yep.  
46  
47 MR COSTELLO: And if we go one page back to 0040 remember

1 I said earlier that there was a note about being careful  
2 not to undermine the footing? That's actually --

3  
4 MR POPE: That's where it is, yep.

5  
6 MR COSTELLO: Yes, that's this here. So, that existing  
7 masonry garden wall, that stays?

8  
9 MR POPE: Yes.

10  
11 MR COSTELLO: But the garden bed, the veggie - the raised  
12 garden beds would go?

13  
14 MR POPE: Yes.

15  
16 MR COSTELLO: I see. Mr Paul, it might be a little bit  
17 difficult to do this by reference to someone else's  
18 diagrams but is the position the same for you or similar?

19  
20 MR PAUL: No, the rock fill fills all that hole in. So  
21 where the retaining wall is now, the one that's damaged, we  
22 would try to get the level area to be in the same place as  
23 it was.

24  
25 MR COSTELLO: You'd take out what's left of that retaining  
26 wall?

27  
28 MR PAUL: Yeah, you would have to take that retaining wall  
29 out. That's damaged now, the integrity of that. That  
30 would come out. But you would essentially fill the hole  
31 with rock fill and bring it back to where it was.

32  
33 MR COSTELLO: Bring it back to the slope angle it was  
34 pre-slide?

35  
36 MR PAUL: That's right. So you would still have that -  
37 what's the veggie patch now would still be preserved, and  
38 you would have level land up there.

39  
40 MR COSTELLO: Madam Chair, those are the questions that  
41 I have for each of the experts, but I think others may have  
42 some questions.

43  
44 CHAIRPERSON: Thank you. Ms Foley.

45  
46 <EXAMINATION BY MS FOLEY:  
47

1 MS FOLEY: Mr Paul, I just have a couple of questions for  
2 you. As we've already heard this morning, one of the  
3 differences that's noted in the joint report between your  
4 design and Mr Pope's design is that Mr Pope's design offers  
5 mitigation whereas yours offers reinstatement.

6  
7 MR PAUL: M'hmm.

8  
9 MS FOLEY: Can I ask you to explain why you decided to  
10 adopt a reinstatement design approach rather than a  
11 mitigation design approach?

12  
13 MR PAUL: It's important to note with any engineering  
14 design like this we've got to work through options, and no  
15 option is necessarily the right option because of course  
16 there's lots of considerations. You know, there's cost.  
17 There's going to be aesthetics. There's going to be  
18 practicalities. There's a whole bunch of things that have  
19 to - to go into place. But I went with remediation. I  
20 mean, at least within my experience with something like  
21 this remediation - particularly if there's insurance  
22 coverage, remediation tends to be what we would design for.  
23 So I find remediation in something like this, a landslide's  
24 happened, is more common. Take a road, for example; a  
25 landslide on a road. We've got to remediate and put the  
26 road back. So that's the approach I've taken. But I'm not  
27 going to say that's the only option. Of course there are  
28 other options to be considered.

29  
30 MS FOLEY: I understand that. So is that really your  
31 answer as to why you adopted the reinstatement design  
32 approach because that's what you ordinarily would do, not  
33 because you think it's necessarily best suited to this  
34 circumstance?

35  
36 MR PAUL: I also think it's better. There are some other  
37 things with the soil nails that places - there's the  
38 maintenance burden, but there's also some encumbrances  
39 which we haven't mentioned. So it's things like if you've  
40 got that steep slope there at the top we're going to have  
41 to put a balustrade around that for safety. The soil nails  
42 penetrate under the site. So if you in the future wanted  
43 to put a different building there that required piled  
44 foundations you would be encumbered there because you  
45 couldn't put the piles down, similar with the soil nails.  
46 So there's other considerations there that I felt, for the  
47 maintenance and the encumbrances, that trying to avoid that

1 would be better as well.

2

3 MS FOLEY: I completely understand what you say about  
4 the soil nail approach, and we've heard that evidence. But  
5 just turning again to why in this particular circumstance,  
6 given the history of this site, you felt that a  
7 reinstatement design approach was the approach to be taken?

8

9 MR PAUL: Yeah, yeah. We've got a residential area here.  
10 You know, return it back to its original functionality to  
11 me seems a better approach.

12

13 MS FOLEY: Right. Is that for aesthetic reasons? Is that  
14 a driving force in that decision for you?

15

16 MR PAUL: Aesthetics is one of, but I think to me the  
17 maintenance requirement is probably the main driver of it.  
18 I've had experience with councils and this type of thing  
19 before, and it really is an issue with how you enforce  
20 maintenance on a private property when if this thing fails,  
21 you know, there's properties downslope that are at risk.  
22 So that's a big one for me.

23

24 MS FOLEY: Is it your evidence that there aren't  
25 mitigation design approaches that could have been adopted  
26 that wouldn't involve ongoing maintenance?

27

28 MR PAUL: I can't really - as soon as you go down the  
29 track of an engineered solution, which means we're bringing  
30 structural elements into the slope like soil nails or  
31 whatever, once it's engineered and therefore it's a  
32 structure you bring in maintenance requirements. And  
33 I can't think of a mitigation that would deal - we can put  
34 a barrier at the bottom. That's a mitigation. But, as far  
35 as stopping this thing regressing back and undermining  
36 number 6 and potentially undermining 10-12, you know,  
37 I can't really think of a mitigation solution that doesn't  
38 involve a structure.

39

40 MS FOLEY: One of the reasons I'm asking you these  
41 questions is because, given that the land in its  
42 pre-landslide form was susceptible to landslide risk, on  
43 one view it might be preferable to focus on mitigation  
44 rather than trying to restore the land to what it was.  
45 What do you say to that perspective?

46

47 MR PAUL: The rock fill also mitigates. I mean, so we've

1 had this soil we talked about in the previous hearing, that  
2 once it got wet it loses strength and it flows. So we're  
3 essentially putting back materials that don't do that,  
4 interlocking rock fill, which people are familiar with. We  
5 use it on coasts to reinforce coasts. We use it on dam  
6 facing to reinforce dam facing. And so it also mitigates  
7 because it's putting a buttress, a load, against the slope.  
8 Importantly, it's free draining so water will come straight  
9 through it and out. So it's also mitigating. It's not  
10 just a reinstatement option. It's also a mitigation  
11 option.

12  
13 MS FOLEY: All right. I just want to talk you through  
14 what might be said to be some risks of trying to reinstate  
15 this land. I believe you said in answer to Mr Costello's  
16 questions right at the beginning - and I'm summarising  
17 here, but you couldn't rule out a future landslide event  
18 here?

19  
20 MR PAUL: M'hmm.

21  
22 MS FOLEY: You'd agree with that?

23  
24 MR PAUL: On the escarpment. Once the rock fill goes in,  
25 you wouldn't expect one there. But the rest of the  
26 escarpment is still untreated and so is vulnerable as it is  
27 now.

28  
29 MS FOLEY: So, in the event of another landslide, is it  
30 correct to say that one risk of this reinstatement option  
31 is that the rock fill that's been put in might come down?

32  
33 MR PAUL: It's a consideration, but we can design for  
34 that.

35  
36 MS FOLEY: And you say I think that you've designed for  
37 that with the barriers that you're proposing down the  
38 bottom?

39  
40 MR PAUL: Yeah, the barriers and the selection of the rock  
41 is very important as well. So the rock - what I've  
42 nominated you would use - so the quarry sell rock to a  
43 certain specification. VicRoads sets the specification for  
44 rock fill on their road embankments. I would suggest using  
45 that because that's a commonly available material. It's  
46 used on road embankments. It's got a lot of experience on  
47 that. But you've got to select the rock fill to be stable.



1 You've got to place it in a way that makes sure it's  
2 interlocked. But it's something we can engineer. If it's  
3 engineered appropriately and selected appropriately, we  
4 shouldn't get sliding of the rock come down.

5

6 MS FOLEY: I understand what you say about that, and of  
7 course you design to avoid that eventuality. But would you  
8 agree that that's a risk that the design that you've come  
9 up with has inherent in it as opposed to Mr Pope's design?  
10 And, just to put that more clearly, that in the event of a  
11 major landslide in this area with your design that rock  
12 fill might come down?

13

14 MR PAUL: No, I don't think the rock fill can come down.  
15 Again it goes back to properly engineered, proper QA during  
16 construction, it's an engineering design. And so I don't  
17 think the rock comes down. I would be more concerned  
18 you've got the rest of the escarpment untreated. That's  
19 what we would be concerned about. But there's lots  
20 of experience putting rock fill and buttresses in. This is  
21 not an unusual or bespoke solution. This is very commonly  
22 used.

23

24 MS FOLEY: All right. And the risks that Mr Pope has  
25 identified in relation to the construction of your design  
26 in contrast to his, you'd accept that there are risks there  
27 but you believe they can be addressed?

28

29 MR PAUL: Yeah, and when I - developing that solution,  
30 that's why I got the contractor involved because it is  
31 really, really important that we get someone involved who  
32 does this sort of work who can come to site, "Is this safe  
33 to build? Can I build this?" And that's why really I got  
34 them involved. It wasn't so much to get the job priced.  
35 It was to tell me, "Can this be built?" So that's a really  
36 important part of it, you know. So that's given me  
37 confidence it can be built; we got that professional  
38 contractor come and have a look at it.

39

40 MS FOLEY: But it's risky work? I mean, you've said that  
41 earlier.

42

43 MR PAUL: Any landslide mitigation inherently. You're  
44 going into a hazardous environment. It's like tunnelling  
45 works or anything. Yes, it's a hazardous working  
46 environment and you've got to have the appropriate  
47 controls; absolutely.

1  
2 MS FOLEY: Mr Pope, I might turn to you and ask whether  
3 you've got any comment to make in relation to what Mr Paul  
4 has said, and in particular we might start with Mr Paul's  
5 evidence about whether or not there is a risk that this  
6 additional material, the rock fill that would be put in  
7 place under his design, might come down in the event of  
8 another landslide.

9  
10 MR POPE: For that design it comes down to that bored pile  
11 capping beam design, and the detailing at the base, how  
12 they cut it into the hill to tie the rock fill into the  
13 hill. I mean, you can design bored piers for big loads,  
14 but it is a big load. Like, you've got the full height of  
15 rock fill acting laterally on that wall. It is arched, so  
16 it will be stronger. But there's a fair amount to do in  
17 detailed design to get that wall to work and be a no  
18 maintenance retaining wall.

19  
20 MS FOLEY: But do you see there as being a risk?

21  
22 MR POPE: Design risk I think you can - yeah.

23  
24 MS FOLEY: In answer to a question that was posed to you  
25 by Mr Costello in relation to why you hadn't adopted a  
26 remediation approach - or a reinstatement approach, rather  
27 - you use the language of that you would rather respect the  
28 land form. Can you elaborate on that, please?

29  
30 MR POPE: My view is that this gully has returned close to  
31 its form pre-subdivision. So 100 years ago looking at the  
32 old photos of the land form I believe it's failed back to a  
33 very similar geometry on the flanks of the gully.  
34 Certainly some more has come out of the bottom. But it is  
35 telling you how it behaves under load from whether it's  
36 fill or windblown soils or whatever. It's saying it's  
37 unhappy. So to me as a designer I'm not going to load that  
38 hill up again.

39  
40 MS FOLEY: All right. No further questions. Thank you,  
41 Chair.

42  
43 CHAIRPERSON: Thank you, Ms Foley.

44  
45 **<EXAMINATION BY MS SIEMENSMA:**

46  
47 MS SIEMENSMA: Mr Paul, I had some questions for you. In

1 your causation report at paragraph 216 you say it may be  
2 prudent to upgrade the aging AC pipes in McCrae to reduce  
3 the likelihood of future leaks. And then we saw on the  
4 screen today a reference in your mitigation report to say  
5 AC pipes have seen a higher rate of leakage compared to  
6 other areas of McCrae. I wanted to ask you about that.  
7 I take it you're not aware of data, say, over the last five  
8 years setting out the reason for each water leak in McCrae;  
9 is that fair?

10

11 MR PAUL: I have seen maintenance records. I don't know  
12 I've been given all of the maintenance records, but  
13 certainly the maintenance records submitted into evidence  
14 I've got.

15

16 MS SIEMENSMA: But not going back, say, over five years it  
17 sets out the reason why --

18

19 MR PAUL: It doesn't go back over five years.

20

21 MS SIEMENSMA: Or the reason for each failure?

22

23 MR PAUL: No, what I've based that statement of  
24 the frequency on is that plan that shows the mapped leaks  
25 and with a greater concentration in that area compared to  
26 outside of that area or the lands adjacent. So that's the  
27 basis of that.

28

29 MS SIEMENSMA: And is it fair to say that when you're  
30 talking about the higher rate of leakage on that map you've  
31 made an assumption that where there are leaks on the map  
32 that's because of the composition of the pipe?

33

34 MR PAUL: No, I'm just stating there is a higher rate of  
35 leakage. But I do know that - and in fact this has been in  
36 the public domain, this has been in the news, that  
37 replacement of AC water pipes is a - it's a problem for all  
38 water authorities, you know. They were put in a long time.  
39 They're aging. They're brittle. They crack. And it's an  
40 issue that all water authorities are facing.

41

42 MS SIEMENSMA: And water pipes leak for many reasons,  
43 including for reasons that have nothing to do with their  
44 composition; correct?

45

46 MR PAUL: There's lots of reasons they can leak, I guess,  
47 and you might say that pipes of some composition or more

1 vulnerable to leakage than others, and age is more  
2 vulnerable than others.  
3  
4 MS SIEMENSMA: So Mr Tully, an engineer from South East  
5 Water, has given some evidence that pipes leak for reasons  
6 that include problems with their installation, movement in  
7 soil, temperature, root damage, corrosion, accidental  
8 damage, and he says age isn't a determinative factor alone.  
9 You don't dispute that evidence?  
10  
11 MR PAUL: Of course pipes can leak for all sorts of  
12 reasons, but I would say that a 70-year-old AC pipe versus  
13 a five-year-old HDPE pipe would be more vulnerable to  
14 leakage. I think that would be a reasonable statement to  
15 say.  
16  
17 MS SIEMENSMA: And the pipe that was the subject of the  
18 Bayview burst that was a PVC pipe; correct?  
19  
20 MR PAUL: Yes.  
21  
22 MS SIEMENSMA: And sometimes pipes leak because of  
23 fittings or joins, not because of the leak itself; you  
24 agree with that?  
25  
26 MR PAUL: There's lots of reasons pipes could leak, yes.  
27  
28 MS SIEMENSMA: And, in suggesting that AC mains could be  
29 upgraded, have you costed that recommendation?  
30  
31 MR PAUL: No, I haven't costed that.  
32  
33 MS SIEMENSMA: Mr Tully gave some evidence that there are  
34 about 19.8 kilometres of AC pipes in McCrae, and to replace  
35 water pipes costs between 1,000 to \$3,000 a metre.  
36  
37 MR PAUL: Yes.  
38  
39 MS SIEMENSMA: Depending on - well, that's for the 100 to  
40 225mm diameter range, depending on location, construction  
41 techniques and so on. So if AC water pipes were replaced  
42 in McCrae it would cost in the order of around \$60 million.  
43  
44 MR PAUL: M'hmm.  
45  
46 MS SIEMENSMA: Presumably you would also on your reasoning  
47 say that AC water pipes in every area where there's a high

1 landslide susceptibility or an EMO they should also be  
2 replaced?

3

4 MR PAUL: I'm not saying anything should be. What this is  
5 all about is reducing the risk to a tolerable level. What  
6 are all the levers we can pull to reduce the risk to a  
7 tolerable level? Now, upgrading pipes might be one of  
8 them. And it might be, for example, let's say, we had an  
9 AC pipe down View Point Road. Well, let's just do that one  
10 because that one's really, really close. Let's not do the  
11 whole area. Or are we going to try to intercept water in  
12 the event of leaks? There's lots of ways to do it. So  
13 replacement is a consideration, one of the considerations,  
14 to try to reduce the risk.

15

16 MS SIEMENSMA: And I take it that you haven't costed this,  
17 so you haven't given thought, for instance, in suggesting  
18 this - and I don't mean this as a criticism, but you  
19 haven't considered, say, the cost to South East Water  
20 customers if AC pipes were to be replaced?

21

22 MR PAUL: No, I haven't considered any of that. There's  
23 an article I saw in the paper which drew my attention which  
24 was all about this issue that not just South East Water but  
25 all water authorities have with this aging pipes and what  
26 do they do about it because, you're right, the cost of  
27 trying to replace all this stuff is astronomical.

28

29 MS SIEMENSMA: And for the customer as well.

30

31 MR PAUL: Of course it would be, yeah.

32

33 MS SIEMENSMA: Now, you've also said in paragraph 216 of  
34 your causation report it might be prudent to upgrade  
35 vitreous clay sewer pipes. Did I understand your evidence  
36 earlier to be that you don't actually have an issue with  
37 the pipe composition itself, it's really the issue of  
38 embedment; is that --

39

40 MR PAUL: Yeah, well, the pipes themselves, of course they  
41 age as well. You can inspect them for damage. But I think  
42 before prioritising the prevention of water flowing along  
43 the trenches would be what I would do because that's  
44 cheaper, it's a much simpler intervention than trying to  
45 replace the pipes themselves.

46

47 MS SIEMENSMA: Let me ask you about that issue because in

1 your report you also refer to trench stoppers in paragraph  
2 216. And you raise the possibility of trench stoppers and  
3 say, "These force water flowing along the trench to the  
4 surface, where it can be detected and repairs implemented."  
5 So as I understand what you're suggesting are trench  
6 stoppers to capture a possible future leak?

7  
8 MR PAUL: Yeah, or not necessarily a leak but water  
9 flowing - whether it be from rain or anywhere, water  
10 flowing along that granular backfill and that being a  
11 conduit to take it to the escarpment.

12  
13 MS SIEMENSMA: And I suggest that trench stoppers don't  
14 completely restrict the flow of water like a concrete wall  
15 in a dam. There is a level of permeability but they slow  
16 the water down; is that fair?

17  
18 MR PAUL: Yeah, they slow the water down. They can be  
19 quite impermeable. They slow the water down and they force  
20 - it's got to go somewhere; right? Like what we saw with  
21 the leaks in Charlesworth and all the water coming up  
22 through the road. It would do that sort of thing and the  
23 idea is, well, we can see it and it's not getting to the  
24 escarpment.

25  
26 MS SIEMENSMA: And you've given evidence in the last  
27 hearing block about McCrae being an area with natural  
28 springs and that shallow groundwater is naturally present  
29 in the area; you recall that?

30  
31 MR PAUL: Yeah, intermittently I think we need to qualify.

32  
33 MS SIEMENSMA: And trench stops can capture groundwater as  
34 well; do you accept that?

35  
36 MR PAUL: If there were groundwater flowing down at the  
37 trench. But naturally the groundwater flows through the  
38 colluvium.

39  
40 MS SIEMENSMA: But say, for instance, Mr Borghesi gave  
41 some evidence about water constantly flowing in View Point  
42 Road for a period of many years. If there were water  
43 flowing down a trench, a trench stop would also lift that  
44 to the surface; you accept that?

45  
46 MR PAUL: Any water flowing down the trench, yeah. The  
47 source of the water is not really relevant. It's if

1 water's flowing down the trench.

2

3 MS SIEMENSMA: And in terms of burst water I suggest that  
4 most of the leaks from water mains come up to the surface  
5 in any event, which is how they're detected and reported;  
6 true?

7

8 MR PAUL: Yeah, well, it's the same concept. For the  
9 water to come to the surface it must be that that's the  
10 path of least resistance. There's something impermeable in  
11 the ground, and maybe that's the trench backfill in and  
12 around the water main. The water mains don't have the  
13 gravel around them like they do in the sewer. So if a  
14 water main bursts it might be trying to flow along the  
15 trench, and then it's impermeable, or there's a pit or  
16 there's something that disrupts it and that forces it to  
17 the surface. So, like, the one at 23 Coburn we were  
18 looking at, the location where the leak was compared to  
19 where it was coming up to the surface, you know, there was  
20 distance it had come along the trench and then popped up  
21 because something inhibited its flow along trench.

22

23 MS SIEMENSMA: Can I suggest that a trench stop for the  
24 water main is unnecessary because the water comes to the  
25 surface and is detected in any event.

26

27 MR PAUL: No, I'm specifically proposing this for the  
28 granular backfill in the sewers. That's the flow path of  
29 concern because, you know, there's evidence that that was  
30 the flow path by which water might have got from the leak  
31 to the landslide. So these are for blocking the flow path  
32 in the sewers.

33

34 MS SIEMENSMA: I understood your evidence in the  
35 mitigation report to be referring to trench stops on both  
36 sewers and water mains.

37

38 MR PAUL: You can do them on both. You can certainly do  
39 them on both if we had concern of it flowing along the  
40 mains. But I would prioritise the sewers because of the  
41 granular backfill in them.

42

43 MS SIEMENSMA: I'll come to sewers in just a moment, but  
44 just before we leave groundwater it's fair to say that  
45 having groundwater come to the surface can be problematic  
46 in terms of causing a nuisance to residents, damage to  
47 roads, to gardens, soggy soil; do you accept that?

1  
2 MR PAUL: Groundwater coming to the surface, damage to  
3 pavement and wet areas, yeah, that can mean inconvenience,  
4 but I'd say not as inconvenient as a landslide.  
5  
6 MS SIEMENSMA: It can lead to damage to roads?  
7  
8 MR PAUL: It can, yeah.  
9  
10 MS SIEMENSMA: And depending on where the water surfaces,  
11 depending on the topography of the area where the water  
12 surfaces, if, for instance, the land were to run downhill  
13 towards the escarpment it might cause the water to run  
14 towards the escarpment; do you agree?  
15  
16 MR PAUL: This is the thing with, say, trench stops. We  
17 can choose where they go and we can engineer it and put  
18 them in a location such that where the water - if water  
19 were come to the surface, it's somewhere we can manage it.  
20 So that would be part of what you would engineer, and that  
21 ideally it would go into the stormwater system if it came  
22 to the surface.  
23  
24 MS SIEMENSMA: Ideally. But if there were cracks in the  
25 kerb or some other obstruction it may well head towards the  
26 escarpment?  
27  
28 MR PAUL: It could, but we can engineer this. We get to  
29 choose where they go.  
30  
31 MS SIEMENSMA: You made a comment earlier about it being  
32 primarily for the sewer trenches. In the case of sewer  
33 mains they're located under the stormwater trenches  
34 generally.  
35  
36 MR PAUL: Deeper.  
37  
38 MS SIEMENSMA: So there's no easy path, I suggest, from  
39 the sewer trenches back up to flow into stormwater; do you  
40 accept that?  
41  
42 MR PAUL: Well, not into the pipe. What I'm suggesting is  
43 once it gets to the surface it would flow into a kerb and  
44 down into the pit and into the stormwater system, not  
45 directly into the stormwater.  
46  
47 MS SIEMENSMA: As I understood your evidence in the last



1 hearing block you had spoken of potential flow paths for  
2 water and you spoke about service trenches, paleochannels,  
3 and colluvium, to name a few.  
4  
5 MR PAUL: Yeah.  
6  
7 MS SIEMENSMA: The trench stop is primarily directed to  
8 water in the service trenches rather than the overflow  
9 paths?  
10  
11 MR PAUL: Exclusively in the service trench, yeah.  
12  
13 MS SIEMENSMA: And I suggest that even if you block that  
14 one path the water will just take another path; it will go  
15 out via a void or a channel, another path?  
16  
17 MR PAUL: This is where it comes to, this is where the  
18 engineering would come into it. You're saying if water is  
19 coming down this trench where is the best place to  
20 intercept it and where is the best place to direct it. So  
21 we have control over this. Because, you're right, all  
22 these things are considerations. We don't want to direct  
23 the water somewhere we don't want it to be. We want to  
24 direct it somewhere better than it being directed towards  
25 the landslide. And so proper thought and engineering would  
26 have to go into making that intervention at the right  
27 place.  
28  
29 MS SIEMENSMA: And is that why you raise the issue of  
30 impermeable fill to prevent water?  
31  
32 MR PAUL: Yeah, I've done that before. I've done that  
33 behind a landslide escarpment up in Frankston where we used  
34 impermeable backfill called Liquifill, a cementitious fill,  
35 around it. Same purpose. If there were to be water coming  
36 out of that pipe - well, I've tried to not get it out of  
37 the pipe. You know, there's impermeable fill around the  
38 pipe so if it leaks it stays in the pipe. That's another  
39 thing you can do.  
40  
41 MS SIEMENSMA: Even with impermeable backfill, even if one  
42 were to imagine that each trench in McCrae is dug and  
43 impermeable fill is put around it, I suggest even that's  
44 problematic because the fill doesn't remain impermeable  
45 forever and because of the need for valves, connections,  
46 manholes and other penetrations into the trench; do you  
47 agree with that?

1  
2 MR PAUL: No engineering solution lasts forever. But the  
3 product that's used, it's like a grout, so like a flowable  
4 concrete material. So it's pretty impermeable. Maybe it  
5 cracks, but it's got nowhere near the permeability it would  
6 have if not. And, again, yeah, you could be constrained in  
7 how you deployed it because there might be manholes and the  
8 like that we didn't want to interrupt. But it's a tool at  
9 our disposal and it would be, "Is it appropriate in some  
10 places to use this?"  
11

12 MS SIEMENSMA: And, given that the impermeable fill can  
13 fail and it can crack, it's the case, isn't it, that water  
14 flowing down a trench - assume you've got impermeable fill  
15 on the sides of the trench, but water flowing down the  
16 trench will look for the weakest point, will look for a  
17 fail and head out outside the trench?  
18

19 MR PAUL: It's true that water will take the path of least  
20 resistance. The whole concept, say, with the trench stops  
21 is to make that path of least resistance to the surface.  
22

23 MS SIEMENSMA: And, that being the case, if that is the  
24 risk, that water will look for a weak link or a fail in the  
25 embedment material, you've got a situation where you might  
26 have water travelling down the trench for quite some  
27 distance looking for a fail and then popping up many, many  
28 metres away from the actual source of the water leak;  
29 that's a risk, isn't it?  
30

31 MR PAUL: If it's a water leak. Remember, I'm just  
32 talking generally about water flowing along the sewer  
33 trench. The source of that water could be a leak, it could  
34 be rain, it could be whatever. We're trying to intervene  
35 the flow on the flow path. And so where we intervene  
36 that's where we would expect the water to be redirected and  
37 we design that intervention.  
38

39 MS SIEMENSMA: And if, though, the water is travelling  
40 down the trench looking for the weakest link it may come  
41 out a great distance away from the source of the leak?  
42

43 MR PAUL: Well, the source of the water. We're sort of  
44 going back to leak all the time and I'm sort of making the  
45 point that we're just talking generally about water flowing  
46 along the trench. It doesn't have to be from a leaky pipe.  
47 It could be any source of water flowing along the trench.

1 We're trying to block the flow path. That's what it is.  
2 We're trying to block the flow path of water getting to  
3 somewhere we don't want water to be.  
4

5 MS SIEMENSMA: I understand. But let's assume that it is  
6 a leak that you're trying to block. I suggest that that  
7 scenario might make leaks harder to detect because the  
8 water is popping up potentially some distance away from  
9 the source.

10  
11 MR PAUL: Which it can do now. I mean, which can do now.  
12 So take the Bayview Road leak. It sort of popped up on the  
13 other side of the freeway. So I don't think there's any  
14 change to the existing by putting an intervention in like  
15 that. The leak and where you observe the water coming up  
16 from the leak can be separated now, and it could be if we  
17 did this as well.

18  
19 MS SIEMENSMA: The other impact of the impermeable fill,  
20 I suggest, is that if you have groundwater or if you've got  
21 burst water from a private leak it can't make its way into  
22 the trench and out to sea; it has to stay in the colluvium  
23 and follow channels; do you accept that?  
24

25 MR PAUL: Well, so if we have a private leak, again water  
26 will flow wherever water is going to flow, and that could  
27 be into colluvium, and that could be into a trench if  
28 there's a trench there. It depends on the specifics of it  
29 where it would go.  
30

31 MS SIEMENSMA: But if the trench is packed with  
32 impermeable fill it can't get into the trench; do you agree  
33 with that?  
34

35 MR PAUL: No, well, that's right. If the trench is  
36 impermeable that would be a route that would be harder for  
37 the water to take, and so it would go somewhere else.  
38

39 MS SIEMENSMA: Mr Paul, are you familiar with the content  
40 of the Water Services Association of Australia Gravity  
41 Sewerage Code of Australia?  
42

43 MR PAUL: No, I'm not, I'm afraid.  
44

45 MS SIEMENSMA: Have you heard of it?  
46

47 MR PAUL: I haven't heard of it, no.

1  
2 MS SIEMENSMA: If I were to tell you then it's a national  
3 design on national standard for the design and construction  
4 of sewers, and if I ask you for the moment to assume this  
5 and then I'll ask you a question. I ask you to assume  
6 clause 9.10 of that national code says, "A continuous  
7 drainage path through a sewer stop shall be provided where  
8 the natural transfer of water from the trench into the  
9 surrounding ground will not provide sufficient drainage."  
10 So I just ask you to assume that for a moment. My question  
11 is this. The standards in those codes might impact on your  
12 proposal about trench stops and embedment material; do you  
13 accept that?

14  
15 MR PAUL: I think it's fair to say if there is a code -  
16 and without having read the code - if there is a code and  
17 that code is, you know, enforceable in this particular  
18 application, because I do know sometimes the codes might -  
19 you know, they've got flexibility in them. If that code  
20 was enforceable then we would have to design within that  
21 code, and I suppose that's about all I could say on it.

22  
23 MS SIEMENSMA: And even if it's not binding it would be a  
24 relevant consideration to take into account?

25  
26 MR PAUL: For any engineering design we have to follow the  
27 relevant codes and standards; that's right.

28  
29 MS SIEMENSMA: You also refer to carrier pipes in your  
30 mitigation report. And what you mean by a carrier pipe is  
31 effectively putting a sleeve around the pipe; is that true?

32  
33 MR PAUL: It's a pipe in a pipe, yeah. So we do this in  
34 landslides somewhere for a number of reasons. So you've  
35 got your water-bearing service, and then you have a larger  
36 pipe around it. It does two things. If the ground moves,  
37 that pipe inside has more flexibility. But, second, if  
38 that pipe leaks it just goes into the pipe around it which  
39 then gets picked up in a pit. So it is a pipe in a pipe,  
40 is the way to think of it. It is something we do in  
41 landslides for water-bearing services.

42  
43 MS SIEMENSMA: Can I suggest that it would be  
44 impracticable to have carrier pipes all over McCrae because  
45 essentially you'd have to dig up all of McCrae, and every  
46 20 metres or so there would be a branch off to a sewer or a  
47 branch off to another water main. It's not really a

1 practical solution, I suggest.

2

3 MR PAUL: No. And, again, I go back to it's one of the  
4 tools in the toolkit. It's one of the things available.  
5 So if you had a particularly vulnerable part of the pipe  
6 for which we were very concerned because the water from  
7 that pipe, you know, might get out, maybe you're just  
8 treating that section. I would agree you're not going to  
9 go right through the entirety of McCrae. That would be  
10 cost prohibitive. But it is something you consider on a  
11 localised basis.

12

13 MS SIEMENSMA: Now, you are obviously well qualified as an  
14 engineering geologist or engineering geology and  
15 experienced in the geotechnical field. So I don't dispute  
16 that. But am I correct in understanding you haven't been  
17 employed by a water corporation before?

18

19 MR PAUL: I have, yeah.

20

21 MS SIEMENSMA: You have been?

22

23 MR PAUL: I've done work for water corporations before.

24

25 MS SIEMENSMA: Have you designed water and sewer  
26 infrastructure and systems for the water corporations  
27 before?

28

29 MR PAUL: I contribute to the design. So, for example, a  
30 recent example from last year for TasWater in this case  
31 where we had a water main that had to go through a  
32 landslide. I don't design the pipe, but I sit in the  
33 design meetings and provide my input on how that design  
34 should be adjusted to deal with the fact there's a  
35 landslide there. So I'm not a pipe designer, but  
36 I contribute.

37

38 MS SIEMENSMA: And primarily through the prism of a  
39 geotechnical practitioner rather than, say, a water  
40 engineering hydraulic service delivery hat; is that fair?

41

42 MR PAUL: Yeah, geotechnical practitioner. And I would  
43 say for something like that, a water service in a landslide  
44 area, that's a multi-disciplinary approach needed. You  
45 bring the relevant experts in to all provide their input to  
46 get the right design out.

47

1 MS SIEMENSMA: And, just picking up that thought, as  
2 I understood your evidence before, you're saying these are  
3 options but you haven't reached a positive determination  
4 about them?  
5  
6 MR PAUL: No, these are all --  
7  
8 MS SIEMENSMA: You just raise them for discussion?  
9  
10 MR PAUL: -- yeah, options and considerations of things we  
11 could think of doing in the area; that's right.  
12  
13 MS SIEMENSMA: And these are things that, for instance,  
14 might require further consideration including input from  
15 water engineering people from the water corporations?  
16  
17 MR PAUL: Absolutely, yeah, you would bring all the  
18 relevant stakeholders together - as we would with any  
19 engineering project, all the stakeholders to get the right  
20 option come out.  
21  
22 MS SIEMENSMA: Let me ask you: water would also use gas  
23 main trenches, water would use stormwater trenches as  
24 conduits; you agree with that?  
25  
26 MR PAUL: It depends what they're backfilled with. Water  
27 will use the path of least resistance. So if the gas main  
28 trench is filled full of gravel, yes, it could use that.  
29 But if it's filled full of clay it might not.  
30  
31 MS SIEMENSMA: On your reasoning do I understand that you  
32 would also suggest that stormwater trenches in  
33 landslide-susceptible areas should also have these  
34 measures?  
35  
36 MR PAUL: Potentially if they are a flow path. And,  
37 again, it depends what they've been backfilled with, how  
38 they've been constructed.  
39  
40 MS SIEMENSMA: Mr Paul, have you read the witness  
41 statement of Mr Chris Smith from South East Water?  
42  
43 MR PAUL: There's been hundreds of them. I'll need you to  
44 remind me of what it says, thanks.  
45  
46 MS SIEMENSMA: Yes. Mr Smith gave some evidence about  
47 South East Water's revised asset management plan that

1 commenced in April this year and about some documents and  
2 plans that flowed from that, including an asset risk  
3 management model. And what he said in broad terms is that  
4 South East Water undertakes a risk based assessment of its  
5 assets, including its pipes, its infrastructure, and as  
6 part of that process it then, after making an assessment,  
7 considers appropriate risk management controls. And he has  
8 gone on in his evidence to say that the process now  
9 specifically includes consideration of landslide risk.  
10 You'd agree that undertaking that risk assessment and  
11 considering risk control measures for the water and sewer  
12 assets is a prudent thing to do?

13  
14 MR PAUL: Very much so, very much so, because it allows  
15 you to prioritise. You know, the reality is there's only a  
16 certain amount of money available to do this maintenance.  
17 Do a risk assessment, focus on the highest risk sites  
18 first. It makes perfect sense, yeah.

19  
20 MS SIEMENSMA: And can I suggest that renewal of water or  
21 sewer mains or other control measures is best done in  
22 accordance with that approach, that assessment having  
23 regard to areas of highest need, assets of highest need,  
24 what is critical, what has the most impact, that approach,  
25 that framework that Mr Smith discusses is the best model?

26  
27 MR PAUL: It's a sensible model. It's like triaging at a  
28 hospital or something. You know, you treat the highest  
29 risk patients first. It's the same type of thing. You  
30 treat the highest risk first.

31  
32 MS SIEMENSMA: There's also been some evidence that you  
33 might recall about digital meters and about other risk  
34 control measures. There was some evidence about night time  
35 flow being enhanced as a result of the landslide, telemetry  
36 sensors and the like. Can I ask you if you accept that  
37 that will also greatly assist with the identification of  
38 leaks in McCrae?

39  
40 MR PAUL: So you're talking leak detection methods?

41  
42 MS SIEMENSMA: Yes.

43  
44 MR PAUL: Yeah, well, absolutely. Leak detection methods  
45 would be a sensible thing to do in a landslide area. And  
46 not just have a leak detection. It's one thing detecting  
47 the leak. You've got to have a plan to - once you've

1 detected a certain threshold is reached, you've got to plan  
2 to fix it.

3

4 MS SIEMENSMA: To fix it, yes. And these measures such as  
5 the digital meters, the night time flow, the evidence is  
6 that that will continue until South East Water is confident  
7 that it is an appropriate risk control measure. And I take  
8 it you'd say that's also a good thing?

9

10 MR PAUL: Absolutely. Again, it's another tool in the  
11 toolkit that we can employ in this area to reduce the risk.  
12 So, yeah, monitoring and quick action on detecting a leak,  
13 of course.

14

15 MS SIEMENSMA: Thank you. No further questions.

16

17 <EXAMINATION BY MR COSTELLO:

18

19 MR COSTELLO: Just a few further questions, if I might.  
20 Mr Paul, you were asked a question by Ms Siemensma a short  
21 time ago about groundwater making its way to the surface,  
22 from a burst this is, and you mentioned that that will  
23 depend on the composition of the ground and other factors.  
24 I think in the course of your answer you said that most of  
25 the water will make its way to the surface; is that your  
26 evidence?

27

28 MR PAUL: So we're talking about if there was a leaky pipe  
29 and that water is flowing down a gravel backfilled sewer  
30 and we put a trench stop in, that is designed so that water  
31 comes up against that trench stop and comes to the surface.  
32 That's something that's engineered. So it's not a case of,  
33 you know, most will come. You know, we engineer it to do  
34 that.

35

36 MR COSTELLO: Yes, I understand. And so that will depend  
37 on the particular composition of the flow channel that the  
38 water is there taking?

39

40 MR PAUL: Yeah.

41

42 MR COSTELLO: And, depending on the composition of it,  
43 that will affect how much in fact comes to the surface?

44

45 MR PAUL: That's right, yeah.

46

47 MR COSTELLO: Mr Paul, if this isn't a fair question then



1 you can say so. It's clear enough from the evidence that  
2 you and Mr Pope have given that a significant divergence in  
3 the course of your reports is connected with a methodology,  
4 that is you dealing with mitigation and remediation and  
5 Mr Pope dealing with mitigation alone. If you were engaged  
6 to develop a mitigation solution that did not involve  
7 remediation, as you sit there now do you know what you  
8 would propose?  
9

10 MR PAUL: I actually think the rock fill as a mitigation  
11 is probably the way I'd go anyway, just for those reasons  
12 of the maintenance burdens and the enforcement. I've got  
13 to think what kind of system can we put in here that  
14 mitigates the risk that doesn't mean that - doesn't involve  
15 structure and doesn't need maintenance, doesn't need  
16 enforcement of maintenance. And the only other things you  
17 can start looking at is, you know, offsets, you know,  
18 getting rid of houses or, you know, removing the elements  
19 at risk from the risk is the only other way I can think to  
20 do it.  
21

22 MR COSTELLO: Mr Pope, if you were engaged to develop a  
23 solution that involved adequate mitigation but also  
24 remediation, do you know what you would propose? Again, if  
25 you don't know because you haven't had sufficient time to  
26 think about it then that's a perfectly legitimate answer.  
27

28 MR POPE: I'm not aware of - yeah, like Darren said, if  
29 you're going to no maintenance solutions, it's offsets and  
30 acquisitions. I'm not sure. All engineering controls have  
31 got some maintenance burden. So, to have no maintenance  
32 burden, it's a thing people don't want to hear, which is  
33 offsets.  
34

35 MR COSTELLO: What does offsets mean in this --  
36

37 MR POPE: Acquisitions and offsets, yeah.  
38

39 MR COSTELLO: If you were satisfied that it was safe to  
40 work from the bottom up rather than the top down would that  
41 affect your view as to the most appropriate solution?  
42

43 MR POPE: I only do bottom up when I've got no other  
44 choice. So --  
45

46 MR COSTELLO: I understand that. But, just for the sake  
47 of my question, just assume that you were assured by a

1 sufficiently qualified person that it's within acceptable  
2 risk tolerances to work from bottom up, if you had that  
3 assurance, would it affect your view as to the best  
4 solution?

5

6 MR POPE: No, I think I would go for the more economical  
7 option with the maintenance burden. I don't think - you  
8 know, yeah, no, I wouldn't change anything.

9

10 MR COSTELLO: Save for tender, Madam Chair, I don't have  
11 any further questions.

12

13 CHAIRPERSON: Thanks, Mr Costello. Mr Pope, I just have  
14 one question. Do you agree with Mr Paul that it's  
15 appropriate to put wells down View Point Road?

16

17 MR POPE: You can do them. I don't think I would.  
18 I think I talk about it in my report; like, who's going to  
19 own them? And because of the contribution from  
20 groundwater, stormwater, leaky services, like, who's  
21 actually - is it council's system to run, or if a water  
22 main fails is it still council's system to run? I think -  
23 trying to put in some semi-permanent, say, council run  
24 drainage system, I don't know - I can't see it being  
25 effective. I feel like - like, I've gone to half a metre  
26 drain spacing because I'm concerned that if you go two  
27 metres apart you don't hit groundwater, because the  
28 granite's quite channelised. So some of my boreholes hit  
29 water, and I went two metres and they didn't hit water. So  
30 you can pull the spacing of these wells in. You could do a  
31 deep trench. But, again, that's another deep trench in the  
32 land form close to the escarpment. Yeah, I wouldn't put it  
33 forward, the wells.

34

35 CHAIRPERSON: Mr Paul, do you want to respond?

36

37 MR PAUL: I'd say it's like putting a fire hydrant in or  
38 something. You put it in hoping you never need it. The  
39 well is there to provide access. For whatever reason,  
40 there was a sustained increase of water, we can come in  
41 with a pump and get it out without delay. So that's the  
42 way to think of it, you know. Would it be effective?  
43 You're never really going to know. But at least you've got  
44 something there. We do know there is water there.

45

46 As far as responsibility goes, it would be with  
47 council. I've positioned them on council land. So council

1 would have to maintain it. We know enough about what's  
2 happening there. We could target the aquifer. We've got  
3 the dye test and things. We know where water is coming  
4 through. That's where you would put the wells. And it's  
5 there in case it ever needs to be used, if needed.

6  
7 MR POPE: There's some geophysics methods where you can  
8 actually put a charge, an electrical charge, in and find  
9 where the water is. So if you could be a bit more  
10 confident with where it is and then target the wells to  
11 where it is rather than just blindly drilling holes then  
12 they have some value.

13  
14 I have put them forward in residential settings, but  
15 the property owner didn't want to do it. Essentially you  
16 need a monitoring system to tell you that it's high, which  
17 would be like the piezometers that we have in the ground.  
18 You would have to semi-permanently have them in a  
19 monitoring system. They hit a trigger and then you bring  
20 the pumps out. I think having pumps that fire, they just  
21 fail. Like, my stormwater pump in Torquay failed this year  
22 and blows a fuse, sort of thing. So if it blows a fuse  
23 during a flood they're no good to you.

24  
25 CHAIRPERSON: Right. Anything further, Mr Paul?

26  
27 MR PAUL: What I'm suggesting is not that you leave the  
28 pump there. You bring the pump. It's like the fire  
29 hydrant. You bring the fire engine to the hydrant. So you  
30 bring the pump out if you needed to use it. I agree, if  
31 you put something in there - we're talking about  
32 frequencies of potentially decades before this might happen  
33 again. So you wouldn't want to leave equipment there just  
34 to rust. But you've got a hole there you can put something  
35 in and pump from if you ever need to.

36  
37 MR COSTELLO: Could I just ask one further question just  
38 to close off on that topic. Mr Pope, as I understand your  
39 evidence you have two sort of concerns about the wells  
40 idea. One is whether or not they'll be effective at all,  
41 and that is capable of being solved to some extent possibly  
42 by the type of geophysics that you've just spoken about?

43  
44 MR POPE: Yeah.

45  
46 MR COSTELLO: The second is whether or not they will be  
47 effective in the sense of who is in control of them?

1  
2 MR POPE: Yes.  
3  
4 MR COSTELLO: And that part of your conundrum could be  
5 solved, for example, if the council was prepared to accept  
6 them as being, in effect, council property on council land?  
7  
8 MR POPE: Yes.  
9  
10 MR COSTELLO: If there was an authority with control --  
11  
12 MR POPE: Took ownership of them --  
13  
14 MR COSTELLO: That would go away; yes, thank you.  
15  
16 CHAIRPERSON: Thanks, Mr Costello. Ms Foley, do you have  
17 any questions about that issue?  
18  
19 MS FOLEY: No, I don't.  
20  
21 CHAIRPERSON: Mr Paul, Mr Pope, that completes your  
22 evidence. Thank you very much for coming along today to  
23 provide evidence on this topic, and you're free to take a  
24 seat in the gallery.  
25  
26 <THE WITNESSES WITHDREW  
27  
28 MR COSTELLO: Madam Chair, all that remains for me is to  
29 tender some documents, including the two reports that had  
30 regard to in the course of today's hearing and the conclave  
31 report on remediation, which we didn't go to. We have  
32 produced it in a list. There's 12 further documents for  
33 tender that involve five additional witness statements and  
34 then further expert reports that have come in, the three  
35 that I've just mentioned plus other reports that have come  
36 in subsequently. Can I just hand up a list?  
37  
38 CHAIRPERSON: Yes.  
39  
40 MR COSTELLO: I apologise, I've only got two copies, but  
41 these are being emailed to the solicitors for each party as  
42 well. Perhaps it's easiest just for those to be accepted  
43 as a tender and to be allocated tender numbers.  
44  
45 CHAIRPERSON: Yes, let's do that. So all of those  
46 documents, documents numbered 1 through to 12, will be  
47 accepted into evidence and exhibit numbers will be

1 allocated to those documents, and we will publish the  
2 exhibit numbers in the next few days. Thank you,  
3 Mr Costello.  
4

5 That brings us to the end of our final hearing.  
6 Mr Costello, can I thank you for all of your work in  
7 conducting the hearings, and I also thank your juniors,  
8 Mr Di Stefano and Ms Kittikhoun, for all of your  
9 involvement in the hearings as well.  
10

11 I thank the solicitors assisting the inquiry for all  
12 of their valuable work and for ensuring that the hearings  
13 have run smoothly since April.  
14

15 I thank counsel for the parties with leave and their  
16 instructing solicitors. And, finally, can I thank all  
17 inquiry staff, especially Ms Moore, and thank Epiq for  
18 their assistance during the hearings.  
19

20 I will now turn to finalising the report, which is due  
21 to be delivered by 10 September.  
22

23 As I said at the beginning of the first hearing in  
24 April, the landslides have caused residents significant  
25 stress and significant uncertainty, and that stress and  
26 uncertainty continues. The residents need answers but they  
27 also need action, and they need action as soon as possible.  
28

29 Many residents attended the last block of hearings a  
30 few weeks ago, and you'll see many residents here again  
31 today, and that shows you how important this inquiry is to  
32 them. The landslides have had a big impact on them. Some  
33 people have been out of their homes for far too long, and  
34 that can't continue. So, upon publication of my report,  
35 I urge relevant parties to take an approach that will see  
36 residents get back into their homes quickly.  
37

38 So I thank the residents for continuing to support the  
39 inquiry, for continuing to provide information, and for  
40 your patience waiting for the report, which will soon be  
41 published. We'll now adjourn.  
42

43 **AT 12.03 PM THE HEARING ADJOURNED ACCORDINGLY**  
44  
45  
46  
47

<b>\$</b>	<b>2</b>	1395:12	<b>acting</b> [1] - 1393:15 <b>action</b> [4] - 1380:33, 1407:12, 1412:27 <b>actions</b> [1] - 1355:10 <b>actual</b> [1] - 1401:28 <b>addition</b> [1] - 1369:36 <b>additional</b> [2] - 1393:6, 1411:33 <b>address</b> [1] - 1354:46 <b>addressed</b> [1] - 1392:27 <b>adds</b> [1] - 1383:25 <b>adequate</b> [1] - 1408:23 <b>adequately</b> [2] - 1377:26, 1378:4 <b>adjacent</b> [1] - 1394:26 <b>adjourn</b> [1] - 1412:41 <b>ADJOURNED</b> [1] - 1412:43 <b>adjusted</b> [1] - 1404:34 <b>adopt</b> [1] - 1389:10 <b>adopted</b> [3] - 1389:31, 1390:25, 1393:25 <b>advanced</b> [1] - 1357:23 <b>advantage</b> [1] - 1385:28 <b>advantageous</b> [2] - 1365:19, 1365:23 <b>aesthetic</b> [3] - 1366:19, 1385:28, 1390:13 <b>aesthetically</b> [1] - 1386:11 <b>aesthetics</b> [7] - 1362:6, 1364:40, 1385:21, 1385:35, 1386:1, 1389:17, 1390:16 <b>affect</b> [3] - 1407:43, 1408:41, 1409:3 <b>affected</b> [1] - 1353:47 <b>AFFIRMED</b> [2] - 1353:24, 1353:26 <b>afraid</b> [1] - 1402:43 <b>age</b> [3] - 1395:1, 1395:8, 1396:41 <b>aged</b> [1] - 1367:6 <b>aging</b> [3] - 1394:2, 1394:39, 1396:25 <b>ago</b> [3] - 1393:31, 1407:21, 1412:30 <b>agree</b> [17] - 1355:35, 1356:42, 1357:1, 1357:3, 1386:3, 1386:5, 1391:22, 1392:8, 1395:24, 1399:14, 1400:47, 1402:32, 1404:8, 1405:24, 1406:10, 1409:14, 1410:30 <b>agreement</b> [2] - 1378:29, 1383:36 <b>allocated</b> [2] - 1411:43, 1412:1 <b>allow</b> [3] - 1363:40, 1372:47, 1377:9 <b>allowed</b> [1] - 1384:22 <b>allowing</b> [1] - 1369:37 <b>allows</b> [1] - 1406:14 <b>almost</b> [1] - 1372:22 <b>alone</b> [2] - 1395:8, 1408:5 <b>alternate</b> [1] - 1368:17 <b>amount</b> [3] - 1384:45, 1393:16, 1406:16 <b>analysed</b> [1] - 1377:11 <b>analysis</b> [2] - 1366:9, 1366:13 <b>anchors</b> [1] - 1386:35 <b>angle</b> [2] - 1373:24, 1388:33 <b>angles</b> [1] - 1387:23 <b>angular</b> [1] - 1360:2 <b>answer</b> [8] - 1353:36, 1353:37, 1356:43, 1389:31, 1391:15, 1393:24, 1407:24, 1408:26 <b>answers</b> [1] - 1412:26 <b>anyway</b> [3] - 1375:3, 1381:24, 1408:11 <b>apart</b> [1] - 1409:27 <b>apologise</b> [1] - 1411:40 <b>appear</b> [3] - 1353:3, 1353:13, 1353:17 <b>appeared</b> [4] - 1352:33, 1352:35, 1352:38, 1352:41 <b>appearing</b> [1] - 1353:7 <b>application</b> [1] - 1403:18 <b>applied</b> [1] - 1369:31 <b>apply</b> [1] - 1374:29 <b>approach</b> [15] - 1356:23, 1389:10, 1389:11, 1389:26, 1389:32, 1390:4, 1390:7, 1390:11, 1393:26, 1404:44, 1406:22, 1406:24, 1412:35 <b>approaches</b> [1] - 1390:25 <b>appropriate</b> [9] - 1355:19, 1355:22, 1358:36, 1392:46, 1401:9, 1406:7
<b>\$1,300</b> [1] - 1385:13 <b>\$11</b> [1] - 1384:11 <b>\$3,000</b> [1] - 1395:35 <b>\$60</b> [1] - 1395:42	<b>2</b> [1] - 1374:19 <b>2(a)</b> [1] - 1368:30 <b>2(b)</b> [1] - 1368:26 <b>2(b)</b> [1] - 1368:32 <b>20</b> [1] - 1403:46 <b>2022</b> [8] - 1353:47, 1356:2, 1356:20, 1356:25, 1368:42, 1369:6, 1369:23, 1369:24 <b>2025</b> [4] - 1352:24, 1353:47, 1367:34, 1369:25 <b>216</b> [3] - 1394:1, 1396:33, 1397:2 <b>225mm</b> [1] - 1395:40 <b>23</b> [1] - 1398:17 <b>29</b> [1] - 1367:9	<b>9</b>	
<b>'</b>	<b>'22</b> [4] - 1356:5, 1361:33, 1375:14, 1385:13 <b>'25</b> [3] - 1363:33, 1369:32, 1375:21 <b>'90s</b> [1] - 1386:15	<b>9.10</b> [1] - 1403:6	
<b>0</b>	<b>0011</b> [1] - 1366:30 <b>0019</b> [2] - 1359:37, 1364:8 <b>0040</b> [1] - 1387:47 <b>0041</b> [2] - 1387:34, 1387:36 <b>0048</b> [1] - 1374:3 <b>0058</b> [1] - 1368:29 <b>0059</b> [2] - 1368:29, 1368:34 <b>0060</b> [1] - 1368:27 <b>0063</b> [1] - 1378:44 <b>0064</b> [1] - 1386:20	<b>A</b>	
<b>1</b>	<b>1</b> [1] - 1411:46 <b>1,000</b> [2] - 1385:16, 1395:35 <b>1,300</b> [1] - 1385:15 <b>1.3</b> [1] - 1385:16 <b>1.5</b> [3] - 1374:21, 1374:30, 1374:38 <b>10</b> [1] - 1412:21 <b>10-12</b> [5] - 1355:15, 1358:23, 1361:3, 1381:33, 1390:36 <b>10.00am</b> [1] - 1352:24 <b>100</b> [3] - 1373:34, 1393:31, 1395:39 <b>11</b> [1] - 1367:34 <b>12</b> [7] - 1383:17, 1383:18, 1383:19, 1383:26, 1383:39, 1411:32, 1411:46 <b>12.03</b> [1] - 1412:43 <b>13</b> [1] - 1352:28 <b>17</b> [1] - 1368:35 <b>173</b> [1] - 1378:29 <b>18</b> [1] - 1352:24 <b>19.8</b> [1] - 1395:34 <b>1950s</b> [1] - 1366:45	<b>3</b>	<b>ability</b> [1] - 1375:23 <b>able</b> [8] - 1356:2, 1356:13, 1356:19, 1356:36, 1361:17, 1362:18, 1364:42, 1364:43 <b>absolutely</b> [5] - 1381:11, 1392:47, 1405:17, 1406:44, 1407:10 <b>absorb</b> [4] - 1365:44, 1366:10, 1366:11, 1366:18 <b>abutment</b> [1] - 1360:11 <b>AC</b> [10] - 1394:2, 1394:5, 1394:37, 1395:12, 1395:28, 1395:34, 1395:41, 1395:47, 1396:9, 1396:20 <b>acceleration</b> [1] - 1380:35 <b>accept</b> [9] - 1392:26, 1397:34, 1397:44, 1398:47, 1399:40, 1402:23, 1403:13, 1406:36, 1411:5 <b>acceptable</b> [1] - 1409:1 <b>accepted</b> [2] - 1411:42, 1411:47 <b>access</b> [7] - 1361:17, 1362:34, 1363:1, 1363:10, 1382:41, 1383:19, 1409:39 <b>accidental</b> [1] - 1395:7 <b>accordance</b> [1] - 1406:22 <b>ACCORDINGLY</b> [1] - 1412:43 <b>account</b> [1] - 1403:24 <b>acknowledge</b> [1] - 1357:40 <b>acknowledged</b> [1] - 1379:38 <b>acknowledging</b> [2] - 1382:45, 1384:5 <b>acquisitions</b> [2] - 1408:30, 1408:37 <b>act</b> [1] - 1363:24
	<b>3</b>		
	<b>3</b> [6] - 1354:13, 1359:45, 1360:14, 1362:1, 1374:5, 1374:20 <b>3(a)</b> [1] - 1368:34 <b>3.2.2</b> [1] - 1366:30 <b>3.2.3</b> [1] - 1365:39 <b>30</b> [1] - 1367:10 <b>305</b> [1] - 1352:18 <b>31</b> [1] - 1365:39 <b>35</b> [1] - 1387:41 <b>35-degree</b> [1] - 1387:43		
	<b>4</b>		
	<b>40-degree</b> [2] - 1375:18, 1387:45		
	<b>5</b>		
	<b>5</b> [1] - 1374:43 <b>50</b> [2] - 1373:32, 1373:34		
	<b>6</b>		
	<b>6</b> [4] - 1355:15, 1358:23, 1379:24, 1390:36 <b>60</b> [1] - 1368:26 <b>600</b> [2] - 1360:42, 1364:16		
	<b>7</b>		
	<b>70-year-old</b> [1] -		

1407:7, 1408:41, 1409:15 <b>appropriately</b> [2] - 1392:3 <b>approval</b> [1] - 1374:6 <b>April</b> [3] - 1406:1, 1412:13, 1412:24 <b>aquifer</b> [2] - 1362:34, 1410:2 <b>aquifers</b> [1] - 1363:29 <b>arc</b> [1] - 1364:29 <b>arched</b> [1] - 1393:15 <b>arches</b> [1] - 1364:34 <b>architects</b> [1] - 1385:23 <b>area</b> [30] - 1355:14, 1355:18, 1361:3, 1361:24, 1364:9, 1364:10, 1369:24, 1370:36, 1375:14, 1378:47, 1379:16, 1380:35, 1385:26, 1385:38, 1386:39, 1388:22, 1390:9, 1392:11, 1394:25, 1394:26, 1395:47, 1396:11, 1397:27, 1397:29, 1399:11, 1404:44, 1405:11, 1406:45, 1407:11 <b>areas</b> [4] - 1394:6, 1399:3, 1405:33, 1406:23 <b>arising</b> [1] - 1360:13 <b>arrive</b> [1] - 1383:38 <b>article</b> [1] - 1396:23 <b>artificially</b> [1] - 1356:7 <b>AS3600</b> [1] - 1375:6 <b>asbestos</b> [1] - 1366:45 <b>assess</b> [1] - 1382:18 <b>assessed</b> [1] - 1374:32 <b>assessment</b> [7] - 1374:7, 1374:8, 1406:4, 1406:6, 1406:10, 1406:17, 1406:22 <b>assessments</b> [1] - 1377:33 <b>asset</b> [2] - 1405:47, 1406:2 <b>assets</b> [3] - 1406:5, 1406:12, 1406:23 <b>assist</b> [1] - 1406:37 <b>assistance</b> [1] - 1412:18 <b>Assisting</b> [1] - 1352:33 <b>assisting</b> [1] - 1412:11	<b>associated</b> [2] - 1355:9, 1380:26 <b>association</b> [1] - 1402:40 <b>assume</b> [7] - 1383:10, 1401:14, 1402:5, 1403:4, 1403:5, 1403:10, 1408:47 <b>assumed</b> [2] - 1358:10, 1358:15 <b>assumption</b> [4] - 1358:22, 1385:4, 1386:46, 1394:31 <b>assumptions</b> [2] - 1374:4, 1383:7 <b>assurance</b> [1] - 1409:3 <b>assured</b> [1] - 1408:47 <b>astronomical</b> [1] - 1396:27 <b>AT</b> [1] - 1412:43 <b>attended</b> [1] - 1412:29 <b>attention</b> [1] - 1396:23 <b>attracted</b> [1] - 1382:35 <b>August</b> [2] - 1352:24, 1367:34 <b>Australia</b> [3] - 1352:17, 1402:40, 1402:41 <b>Australian</b> [2] - 1374:43, 1374:44 <b>authorities</b> [3] - 1394:38, 1394:40, 1396:25 <b>authority</b> [1] - 1411:10 <b>available</b> [5] - 1382:45, 1383:37, 1391:45, 1404:4, 1406:16 <b>avoid</b> [2] - 1389:47, 1392:7 <b>avoided</b> [1] - 1380:28 <b>aware</b> [4] - 1359:25, 1373:33, 1394:7, 1408:28	<b>balustrade</b> [2] - 1382:20, 1389:41 <b>barrier</b> [7] - 1361:31, 1361:34, 1362:2, 1362:4, 1367:24, 1390:34 <b>barriers</b> [2] - 1391:37, 1391:40 <b>bars</b> [2] - 1373:2, 1373:3 <b>base</b> [4] - 1360:9, 1360:43, 1361:17, 1393:11 <b>based</b> [6] - 1362:46, 1374:6, 1383:2, 1384:15, 1394:23, 1406:4 <b>basis</b> [3] - 1354:38, 1394:27, 1404:11 <b>Bateman</b> [3] - 1352:38, 1353:9, 1353:11 <b>bay</b> [1] - 1372:45 <b>Bayview</b> [2] - 1395:18, 1402:12 <b>beam</b> [2] - 1360:41, 1393:11 <b>bearing</b> [3] - 1366:32, 1403:35, 1403:41 <b>bed</b> [3] - 1387:19, 1387:27, 1388:11 <b>bedding</b> [1] - 1367:19 <b>beds</b> [6] - 1386:39, 1386:44, 1386:46, 1387:13, 1387:39, 1388:12 <b>beginning</b> [2] - 1391:16, 1412:23 <b>behalf</b> [3] - 1352:35, 1352:38, 1352:41 <b>behave</b> [2] - 1387:41, 1387:42 <b>behaves</b> [1] - 1393:35 <b>behind</b> [3] - 1369:35, 1369:36, 1400:33 <b>bench</b> [2] - 1379:29, 1381:2 <b>benefit</b> [1] - 1365:21 <b>bespoke</b> [1] - 1392:21 <b>best</b> [9] - 1361:42, 1372:46, 1386:23, 1389:33, 1400:19, 1400:20, 1406:21, 1406:25, 1409:3 <b>better</b> [8] - 1354:18, 1368:23, 1369:19, 1385:47, 1389:36, 1390:1, 1390:11, 1400:24 <b>between</b> [5] - 1357:40,	1361:34, 1378:29, 1389:3, 1395:35 <b>big</b> [10] - 1360:28, 1371:29, 1383:7, 1384:45, 1386:5, 1390:22, 1393:13, 1393:14, 1412:32 <b>binding</b> [1] - 1403:23 <b>bit</b> [13] - 1361:7, 1362:16, 1366:12, 1369:33, 1370:5, 1375:6, 1375:19, 1378:38, 1379:12, 1385:46, 1387:31, 1388:16, 1410:9 <b>bits</b> [1] - 1374:47 <b>black</b> [2] - 1386:30 <b>blanket</b> [1] - 1381:28 <b>blend</b> [3] - 1361:42, 1378:38, 1385:40 <b>blends</b> [1] - 1362:6 <b>blindly</b> [1] - 1410:11 <b>block</b> [8] - 1369:10, 1397:27, 1400:1, 1400:13, 1402:1, 1402:2, 1402:6, 1412:29 <b>blocking</b> [1] - 1398:31 <b>blow</b> [2] - 1364:9, 1384:35 <b>blows</b> [2] - 1410:22 <b>blue</b> [6] - 1386:24, 1386:31, 1386:41, 1386:43, 1387:6, 1387:14 <b>Board</b> [1] - 1352:4 <b>board</b> [1] - 1353:31 <b>bolts</b> [1] - 1375:5 <b>bored</b> [5] - 1360:33, 1360:40, 1364:21, 1393:10, 1393:13 <b>boreholes</b> [1] - 1409:28 <b>Borghesi</b> [1] - 1397:40 <b>bottom</b> [22] - 1355:16, 1360:12, 1361:8, 1361:16, 1361:18, 1361:22, 1361:28, 1362:7, 1362:18, 1364:15, 1376:25, 1379:44, 1380:10, 1380:16, 1380:27, 1385:34, 1390:34, 1391:38, 1393:34, 1408:40, 1408:43, 1409:2 <b>box</b> [1] - 1386:32 <b>branch</b> [2] - 1403:46, 1403:47	<b>break</b> [3] - 1370:4, 1387:43, 1387:45 <b>bridge</b> [2] - 1374:28, 1375:4 <b>bring</b> [19] - 1359:33, 1361:14, 1362:43, 1363:10, 1365:27, 1367:20, 1367:32, 1371:28, 1373:44, 1373:46, 1388:31, 1388:33, 1390:32, 1404:45, 1405:17, 1410:19, 1410:28, 1410:29, 1410:30 <b>bringing</b> [1] - 1390:29 <b>brings</b> [1] - 1412:5 <b>brittle</b> [2] - 1366:46, 1394:39 <b>broad</b> [1] - 1406:3 <b>brown</b> [1] - 1372:23 <b>build</b> [5] - 1361:22, 1366:25, 1384:21, 1392:33 <b>buildable</b> [1] - 1379:45 <b>building</b> [3] - 1361:15, 1374:6, 1389:43 <b>built</b> [2] - 1392:35, 1392:37 <b>bulk</b> [1] - 1353:41 <b>bunch</b> [3] - 1357:4, 1369:40, 1389:18 <b>bund</b> [1] - 1366:2 <b>bunds</b> [1] - 1366:1 <b>burden</b> [5] - 1385:18, 1389:38, 1408:31, 1408:32, 1409:7 <b>burdens</b> [1] - 1408:12 <b>burst</b> [4] - 1395:18, 1398:3, 1402:21, 1407:22 <b>bursts</b> [1] - 1398:14 <b>butress</b> [1] - 1391:7 <b>buttresses</b> [1] - 1392:20 <b>buttressing</b> [2] - 1360:43, 1379:20 <b>BY</b> [4] - 1353:28, 1388:46, 1393:45, 1407:17
<b>B</b>				
<b>backfill</b> [6] - 1397:10, 1398:11, 1398:28, 1398:41, 1400:34, 1400:41 <b>backfilled</b> [3] - 1405:26, 1405:37, 1407:29 <b>background</b> [3] - 1378:12, 1378:33, 1378:37 <b>balance</b> [1] - 1372:30 <b>ballpark</b> [1] - 1384:41				
<b>C</b>				
<b>capable</b> [2] - 1355:18, 1410:41 <b>capacity</b> [1] - 1372:36 <b>capping</b> [1] - 1393:11 <b>capture</b> [2] - 1397:6, 1397:33 <b>carbon</b> [1] - 1372:42				

<p><b>care</b> <sup>[1]</sup> - 1382:13</p> <p><b>career</b> <sup>[1]</sup> - 1378:27</p> <p><b>careful</b> <sup>[2]</sup> - 1373:4, 1388:1</p> <p><b>carrier</b> <sup>[3]</sup> - 1403:29, 1403:30, 1403:44</p> <p><b>case</b> <sup>[11]</sup> - 1362:39, 1362:42, 1362:47, 1378:20, 1380:15, 1399:32, 1401:13, 1401:23, 1404:30, 1407:32, 1410:5</p> <p><b>causation</b> <sup>[3]</sup> - 1358:33, 1394:1, 1396:34</p> <p><b>caused</b> <sup>[2]</sup> - 1363:33, 1412:24</p> <p><b>causing</b> <sup>[1]</sup> - 1398:46</p> <p><b>caveat</b> <sup>[2]</sup> - 1377:28, 1385:14</p> <p><b>cement</b> <sup>[1]</sup> - 1366:45</p> <p><b>cementitious</b> <sup>[1]</sup> - 1400:34</p> <p><b>central</b> <sup>[1]</sup> - 1371:7</p> <p><b>centres</b> <sup>[1]</sup> - 1369:39</p> <p><b>certain</b> <sup>[3]</sup> - 1391:43, 1406:16, 1407:1</p> <p><b>certainly</b> <sup>[5]</sup> - 1365:25, 1385:47, 1393:34, 1394:13, 1398:38</p> <p><b>cetera</b> <sup>[1]</sup> - 1377:33</p> <p><b>Chair</b> <sup>[7]</sup> - 1353:3, 1353:21, 1353:38, 1388:40, 1393:41, 1409:10, 1411:28</p> <p><b>Chairperson</b> <sup>[1]</sup> - 1352:10</p> <p><b>CHAIRPERSON</b> <sup>[16]</sup> - 1353:1, 1353:6, 1353:11, 1353:15, 1353:19, 1353:43, 1382:28, 1388:44, 1393:43, 1409:13, 1409:35, 1410:25, 1411:16, 1411:21, 1411:38, 1411:45</p> <p><b>change</b> <sup>[3]</sup> - 1375:24, 1402:14, 1409:8</p> <p><b>channel</b> <sup>[2]</sup> - 1400:15, 1407:37</p> <p><b>channelised</b> <sup>[1]</sup> - 1409:28</p> <p><b>channels</b> <sup>[1]</sup> - 1402:23</p> <p><b>charge</b> <sup>[2]</sup> - 1410:8</p> <p><b>Charlesworth</b> <sup>[1]</sup> - 1397:21</p> <p><b>cheap</b> <sup>[2]</sup> - 1384:34, 1384:35</p>	<p><b>cheaper</b> <sup>[5]</sup> - 1385:2, 1385:6, 1385:7, 1385:18, 1396:44</p> <p><b>check</b> <sup>[5]</sup> - 1366:13, 1375:44, 1375:46, 1376:29, 1382:9</p> <p><b>choice</b> <sup>[1]</sup> - 1408:44</p> <p><b>choose</b> <sup>[2]</sup> - 1399:17, 1399:29</p> <p><b>Chris</b> <sup>[1]</sup> - 1405:41</p> <p><b>circumstance</b> <sup>[2]</sup> - 1389:34, 1390:5</p> <p><b>CivilTest</b> <sup>[1]</sup> - 1369:12</p> <p><b>claim</b> <sup>[1]</sup> - 1357:47</p> <p><b>clause</b> <sup>[1]</sup> - 1403:6</p> <p><b>clay</b> <sup>[3]</sup> - 1367:18, 1396:35, 1405:29</p> <p><b>cleaner</b> <sup>[1]</sup> - 1365:17</p> <p><b>cleaning</b> <sup>[1]</sup> - 1376:5</p> <p><b>clear</b> <sup>[5]</sup> - 1362:27, 1376:29, 1376:32, 1382:41, 1408:1</p> <p><b>cleared</b> <sup>[2]</sup> - 1354:24, 1354:30</p> <p><b>clearing</b> <sup>[1]</sup> - 1354:12</p> <p><b>clearly</b> <sup>[1]</sup> - 1392:10</p> <p><b>close</b> <sup>[8]</sup> - 1364:9, 1379:24, 1379:29, 1386:19, 1393:30, 1396:10, 1409:32, 1410:38</p> <p><b>closely</b> <sup>[2]</sup> - 1369:44</p> <p><b>closest</b> <sup>[1]</sup> - 1355:17</p> <p><b>coasts</b> <sup>[2]</sup> - 1391:5</p> <p><b>Coburn</b> <sup>[1]</sup> - 1398:17</p> <p><b>Code</b> <sup>[1]</sup> - 1402:41</p> <p><b>code</b> <sup>[9]</sup> - 1374:28, 1375:4, 1403:6, 1403:15, 1403:16, 1403:17, 1403:19, 1403:21</p> <p><b>codes</b> <sup>[3]</sup> - 1403:11, 1403:18, 1403:27</p> <p><b>colluvial</b> <sup>[2]</sup> - 1355:4, 1369:38</p> <p><b>colluvium</b> <sup>[4]</sup> - 1397:38, 1400:3, 1402:22, 1402:27</p> <p><b>combination</b> <sup>[3]</sup> - 1358:36, 1359:1, 1359:5</p> <p><b>combined</b> <sup>[1]</sup> - 1370:27</p> <p><b>comfortable</b> <sup>[1]</sup> - 1376:47</p> <p><b>coming</b> <sup>[16]</sup> - 1353:31, 1353:41, 1361:20, 1362:24, 1363:28, 1366:36, 1369:38, 1376:7, 1397:21,</p>	<p>1398:19, 1399:2, 1400:19, 1400:35, 1402:15, 1410:3, 1411:22</p> <p><b>commence</b> <sup>[1]</sup> - 1383:37</p> <p><b>commenced</b> <sup>[1]</sup> - 1406:1</p> <p><b>comment</b> <sup>[5]</sup> - 1375:28, 1377:45, 1380:38, 1393:3, 1399:31</p> <p><b>comments</b> <sup>[2]</sup> - 1377:8, 1382:30</p> <p><b>common</b> <sup>[2]</sup> - 1382:33, 1389:24</p> <p><b>commonly</b> <sup>[4]</sup> - 1360:6, 1361:39, 1391:45, 1392:21</p> <p><b>company</b> <sup>[1]</sup> - 1384:25</p> <p><b>compared</b> <sup>[3]</sup> - 1394:5, 1394:25, 1398:18</p> <p><b>competitive</b> <sup>[2]</sup> - 1384:27, 1385:17</p> <p><b>completed</b> <sup>[2]</sup> - 1374:33, 1387:12</p> <p><b>completely</b> <sup>[2]</sup> - 1390:3, 1397:14</p> <p><b>completes</b> <sup>[1]</sup> - 1411:21</p> <p><b>completion</b> <sup>[1]</sup> - 1374:9</p> <p><b>complexity</b> <sup>[1]</sup> - 1372:44</p> <p><b>component</b> <sup>[1]</sup> - 1376:25</p> <p><b>composition</b> <sup>[7]</sup> - 1394:32, 1394:44, 1394:47, 1396:37, 1407:23, 1407:37, 1407:42</p> <p><b>con</b> <sup>[1]</sup> - 1381:19</p> <p><b>concentration</b> <sup>[1]</sup> - 1394:25</p> <p><b>concept</b> <sup>[20]</sup> - 1357:22, 1358:6, 1359:43, 1359:45, 1360:1, 1360:9, 1360:46, 1375:29, 1376:20, 1377:34, 1377:35, 1377:39, 1380:4, 1381:19, 1381:37, 1383:4, 1383:29, 1398:8, 1401:20</p> <p><b>concepts</b> <sup>[1]</sup> - 1374:2</p> <p><b>concern</b> <sup>[3]</sup> - 1367:14, 1398:29, 1398:39</p>	<p><b>concerned</b> <sup>[6]</sup> - 1379:13, 1392:17, 1392:19, 1404:6, 1409:26</p> <p><b>concerns</b> <sup>[1]</sup> - 1410:39</p> <p><b>conclave</b> <sup>[1]</sup> - 1411:30</p> <p><b>concrete</b> <sup>[12]</sup> - 1360:35, 1360:41, 1362:4, 1365:47, 1370:46, 1371:8, 1375:6, 1381:45, 1382:20, 1385:33, 1397:14, 1401:4</p> <p><b>condition</b> <sup>[2]</sup> - 1357:45, 1373:39</p> <p><b>conducted</b> <sup>[2]</sup> - 1374:8, 1376:13</p> <p><b>conducting</b> <sup>[1]</sup> - 1412:7</p> <p><b>conduit</b> <sup>[3]</sup> - 1367:19, 1367:20, 1397:11</p> <p><b>conduits</b> <sup>[1]</sup> - 1405:24</p> <p><b>confidence</b> <sup>[2]</sup> - 1377:25, 1392:37</p> <p><b>confident</b> <sup>[4]</sup> - 1377:24, 1385:6, 1407:6, 1410:10</p> <p><b>configured</b> <sup>[1]</sup> - 1362:31</p> <p><b>confirmed</b> <sup>[1]</sup> - 1381:14</p> <p><b>connected</b> <sup>[1]</sup> - 1408:3</p> <p><b>connection</b> <sup>[2]</sup> - 1360:16, 1369:5</p> <p><b>connections</b> <sup>[1]</sup> - 1400:45</p> <p><b>connects</b> <sup>[1]</sup> - 1360:41</p> <p><b>consent</b> <sup>[1]</sup> - 1358:22</p> <p><b>conservative</b> <sup>[4]</sup> - 1375:19, 1384:18, 1384:19, 1384:20</p> <p><b>consider</b> <sup>[5]</sup> - 1371:11, 1377:16, 1378:3, 1385:27, 1404:10</p> <p><b>consideration</b> <sup>[9]</sup> - 1358:40, 1367:1, 1367:3, 1382:42, 1391:33, 1396:13, 1403:24, 1405:14, 1406:9</p> <p><b>considerations</b> <sup>[8]</sup> - 1357:4, 1377:41, 1378:13, 1389:16, 1389:46, 1396:13, 1400:22, 1405:10</p> <p><b>considered</b> <sup>[9]</sup> -</p>	<p>1353:46, 1355:33, 1359:7, 1364:30, 1368:5, 1379:17, 1389:28, 1396:19, 1396:22</p> <p><b>considering</b> <sup>[1]</sup> - 1406:11</p> <p><b>considers</b> <sup>[1]</sup> - 1406:7</p> <p><b>constantly</b> <sup>[1]</sup> - 1397:41</p> <p><b>constrained</b> <sup>[1]</sup> - 1401:6</p> <p><b>constructability</b> <sup>[1]</sup> - 1366:22</p> <p><b>constructed</b> <sup>[1]</sup> - 1405:38</p> <p><b>construction</b> <sup>[8]</sup> - 1379:28, 1383:23, 1383:32, 1384:31, 1392:16, 1392:25, 1395:40, 1403:3</p> <p><b>content</b> <sup>[1]</sup> - 1402:39</p> <p><b>contingency</b> <sup>[1]</sup> - 1384:24</p> <p><b>continue</b> <sup>[3]</sup> - 1353:17, 1407:6, 1412:34</p> <p><b>continued</b> <sup>[1]</sup> - 1355:19</p> <p><b>continues</b> <sup>[1]</sup> - 1412:26</p> <p><b>continuing</b> <sup>[2]</sup> - 1412:38, 1412:39</p> <p><b>continuous</b> <sup>[1]</sup> - 1403:6</p> <p><b>contours</b> <sup>[1]</sup> - 1364:35</p> <p><b>contract's</b> <sup>[1]</sup> - 1383:47</p> <p><b>contractor</b> <sup>[5]</sup> - 1361:14, 1375:45, 1381:11, 1392:30, 1392:38</p> <p><b>contractors</b> <sup>[3]</sup> - 1371:24, 1380:45, 1383:37</p> <p><b>contrary</b> <sup>[1]</sup> - 1384:30</p> <p><b>contrast</b> <sup>[1]</sup> - 1392:26</p> <p><b>contribute</b> <sup>[2]</sup> - 1404:29, 1404:36</p> <p><b>contribution</b> <sup>[1]</sup> - 1409:19</p> <p><b>control</b> <sup>[10]</sup> - 1355:9, 1367:28, 1383:39, 1400:21, 1406:11, 1406:21, 1406:34, 1407:7, 1410:47, 1411:10</p> <p><b>controls</b> <sup>[5]</sup> - 1354:45, 1355:22, 1392:47, 1406:7, 1408:30</p>
--	--	---	--	---



<p><b>conundrum</b> [1] - 1411:4</p> <p><b>convenient</b> [1] - 1353:41</p> <p><b>cope</b> [2] - 1356:13, 1356:36</p> <p><b>copies</b> [1] - 1411:40</p> <p><b>corporation</b> [1] - 1404:17</p> <p><b>Corporation</b> [1] - 1352:42</p> <p><b>corporations</b> [3] - 1404:23, 1404:26, 1405:15</p> <p><b>correct</b> [22] - 1356:32, 1356:43, 1357:18, 1357:36, 1358:11, 1359:21, 1359:23, 1361:41, 1367:39, 1368:14, 1369:2, 1370:25, 1372:7, 1372:13, 1372:22, 1381:38, 1382:9, 1387:29, 1391:30, 1394:44, 1395:18, 1404:16</p> <p><b>corrections</b> [1] - 1359:26</p> <p><b>corrosion</b> [1] - 1395:7</p> <p><b>cost</b> [6] - 1360:8, 1389:16, 1395:42, 1396:19, 1396:26, 1404:10</p> <p><b>costed</b> [4] - 1384:37, 1395:29, 1395:31, 1396:16</p> <p><b>Costello</b> [9] - 1352:32, 1353:1, 1353:19, 1382:29, 1393:25, 1409:13, 1411:16, 1412:3, 1412:6</p> <p><b>COSTELLO</b> [216] - 1353:3, 1353:21, 1353:28, 1353:30, 1353:45, 1354:5, 1354:11, 1354:23, 1354:28, 1354:32, 1354:37, 1354:43, 1355:1, 1355:6, 1355:13, 1355:25, 1355:29, 1355:35, 1355:39, 1355:47, 1356:10, 1356:17, 1356:28, 1356:34, 1356:42, 1357:1, 1357:7, 1357:13, 1357:20, 1357:26, 1357:31, 1357:38, 1358:5, 1358:10, 1358:15, 1358:21,</p>	<p>1358:27, 1358:32, 1358:44, 1359:7, 1359:12, 1359:20, 1359:25, 1359:36, 1359:41, 1360:16, 1360:23, 1360:28, 1360:32, 1360:38, 1360:45, 1361:38, 1361:45, 1362:11, 1362:21, 1363:4, 1363:13, 1363:18, 1363:35, 1363:40, 1363:45, 1364:8, 1364:15, 1364:20, 1364:29, 1364:39, 1365:1, 1365:14, 1365:32, 1365:37, 1366:5, 1366:16, 1366:27, 1366:36, 1366:40, 1366:44, 1367:9, 1367:14, 1367:31, 1367:39, 1367:43, 1368:1, 1368:10, 1368:16, 1368:21, 1368:29, 1368:34, 1368:39, 1368:44, 1369:4, 1369:10, 1369:17, 1369:23, 1369:46, 1370:4, 1370:9, 1370:13, 1370:17, 1370:23, 1370:27, 1370:33, 1370:41, 1370:45, 1371:10, 1371:17, 1371:21, 1371:33, 1371:38, 1371:43, 1372:4, 1372:9, 1372:15, 1372:19, 1372:26, 1372:34, 1372:41, 1373:6, 1373:11, 1373:16, 1373:20, 1373:29, 1373:36, 1374:1, 1374:13, 1374:19, 1374:25, 1374:32, 1374:37, 1374:43, 1375:9, 1375:28, 1375:37, 1376:10, 1376:18, 1376:32, 1376:39, 1376:46, 1377:6, 1377:15, 1377:23, 1377:31, 1377:37, 1377:44, 1378:3, 1378:9, 1378:42, 1379:6, 1379:10, 1379:23, 1379:33, 1379:38, 1380:2, 1380:8, 1380:15, 1380:20, 1380:26, 1380:38, 1381:8,</p>	<p>1381:17, 1381:31, 1381:37, 1381:42, 1381:47, 1382:5, 1382:12, 1382:23, 1382:44, 1383:10, 1383:15, 1383:28, 1383:35, 1384:4, 1384:11, 1384:15, 1384:30, 1384:37, 1385:2, 1385:9, 1385:21, 1386:3, 1386:9, 1386:18, 1386:29, 1386:38, 1386:43, 1387:2, 1387:6, 1387:11, 1387:18, 1387:26, 1387:31, 1387:36, 1387:47, 1388:6, 1388:11, 1388:16, 1388:25, 1388:33, 1388:40, 1407:17, 1407:19, 1407:36, 1407:42, 1407:47, 1408:22, 1408:35, 1408:39, 1408:46, 1409:10, 1410:37, 1410:46, 1411:4, 1411:10, 1411:14, 1411:28, 1411:40</p> <p><b>Costello's</b> [1] - 1391:15</p> <p><b>costs</b> [1] - 1395:35</p> <p><b>council</b> [11] - 1374:40, 1376:34, 1378:30, 1385:12, 1409:23, 1409:47, 1411:5, 1411:6</p> <p><b>Council</b> [1] - 1352:39</p> <p><b>council's</b> [2] - 1409:21, 1409:22</p> <p><b>councils</b> [3] - 1378:16, 1378:26, 1390:18</p> <p><b>Counsel</b> [1] - 1352:33</p> <p><b>counsel</b> [1] - 1412:15</p> <p><b>couple</b> [5] - 1362:9, 1374:1, 1374:4, 1383:46, 1389:1</p> <p><b>course</b> [14] - 1365:15, 1366:31, 1377:31, 1383:24, 1389:15, 1389:27, 1392:7, 1395:11, 1396:31, 1396:40, 1407:13, 1407:24, 1408:3, 1411:30</p> <p><b>Court</b> [1] - 1352:17</p> <p><b>coverage</b> [1] - 1389:22</p> <p><b>crack</b> [2] - 1394:39,</p>	<p>1401:13</p> <p><b>cracking</b> [1] - 1376:26</p> <p><b>cracks</b> [2] - 1399:24, 1401:5</p> <p><b>crane</b> [2] - 1371:30, 1371:33</p> <p><b>create</b> [1] - 1365:11</p> <p><b>creepers</b> [1] - 1365:1</p> <p><b>crest</b> [1] - 1386:35</p> <p><b>crew</b> [1] - 1380:34</p> <p><b>crews</b> [2] - 1379:43, 1380:33</p> <p><b>critical</b> [1] - 1406:24</p> <p><b>criticism</b> [1] - 1396:18</p> <p><b>crudely</b> [1] - 1375:40</p> <p><b>customer</b> [1] - 1396:29</p> <p><b>customers</b> [1] - 1396:20</p> <p><b>cut</b> [1] - 1393:12</p> <p><b>cutback</b> [1] - 1386:33</p>	<p><b>D</b></p> <p><b>dam</b> [6] - 1381:22, 1381:23, 1381:24, 1391:5, 1391:6, 1397:15</p> <p><b>damage</b> [6] - 1395:7, 1395:8, 1396:41, 1398:46, 1399:2, 1399:6</p> <p><b>damaged</b> [6] - 1360:13, 1382:2, 1382:3, 1382:5, 1388:21, 1388:29</p> <p><b>DANE</b> [1] - 1353:26</p> <p><b>Darren</b> [3] - 1369:41, 1380:30, 1408:28</p> <p><b>DARREN</b> [1] - 1353:24</p> <p><b>Darren's</b> [1] - 1384:46</p> <p><b>data</b> [1] - 1394:7</p> <p><b>dated</b> [1] - 1367:34</p> <p><b>days</b> [2] - 1372:42, 1412:2</p> <p><b>deal</b> [6] - 1354:9, 1368:11, 1375:30, 1380:41, 1390:33, 1404:34</p> <p><b>dealing</b> [3] - 1353:45, 1408:4, 1408:5</p> <p><b>deals</b> [1] - 1354:8</p> <p><b>debris</b> [6] - 1360:13, 1361:17, 1361:35, 1362:27, 1365:43</p> <p><b>decade</b> [1] - 1363:8</p> <p><b>decades</b> [2] - 1362:46, 1410:32</p> <p><b>decided</b> [1] - 1389:9</p> <p><b>deciding</b> [1] - 1383:3</p>	<p><b>decision</b> [1] - 1390:14</p> <p><b>deep</b> [2] - 1409:31</p> <p><b>Deeper</b> [1] - 1399:36</p> <p><b>defect</b> [1] - 1402:7</p> <p><b>define</b> [1] - 1354:7</p> <p><b>definitely</b> [3] - 1357:17, 1358:29, 1375:25</p> <p><b>deflect</b> [1] - 1366:12</p> <p><b>degree</b> [4] - 1370:28, 1371:12, 1377:24, 1382:46</p> <p><b>degrees</b> [1] - 1387:41</p> <p><b>delay</b> [1] - 1409:41</p> <p><b>deliberate</b> [1] - 1365:19</p> <p><b>deliberately</b> [1] - 1376:37</p> <p><b>delivered</b> [1] - 1412:21</p> <p><b>delivery</b> [1] - 1404:40</p> <p><b>dependent</b> [2] - 1355:29, 1376:41</p> <p><b>deployed</b> [1] - 1401:7</p> <p><b>derived</b> [1] - 1361:9</p> <p><b>descending</b> [2] - 1355:40, 1356:18</p> <p><b>describe</b> [2] - 1354:43, 1355:14</p> <p><b>Design</b> [1] - 1393:22</p> <p><b>design</b> [67] - 1354:17, 1356:5, 1356:36, 1357:22, 1357:24, 1357:27, 1358:18, 1364:27, 1365:30, 1369:31, 1372:23, 1374:3, 1374:28, 1374:33, 1374:37, 1375:2, 1375:11, 1375:24, 1375:26, 1376:21, 1379:42, 1381:1, 1381:22, 1381:27, 1383:24, 1383:29, 1383:43, 1384:6, 1384:22, 1384:26, 1384:37, 1385:13, 1385:25, 1386:10, 1389:4, 1389:10, 1389:11, 1389:14, 1389:22, 1389:31, 1390:7, 1390:25, 1391:33, 1392:7, 1392:8, 1392:9, 1392:11, 1392:16, 1392:25, 1393:7, 1393:10, 1393:11, 1393:13, 1393:17, 1401:37, 1403:3, 1403:20, 1403:26, 1404:29,</p>
--	--	--	--	--	--

1404:32, 1404:33, 1404:46 <b>designed</b> [9] - 1356:29, 1361:35, 1365:43, 1365:46, 1375:18, 1383:1, 1391:36, 1404:25, 1407:30 <b>designer</b> [3] - 1379:46, 1393:37, 1404:35 <b>detail</b> [2] - 1355:40, 1356:18 <b>detail's</b> [1] - 1369:33 <b>detailed</b> [8] - 1357:24, 1357:27, 1364:27, 1374:33, 1375:26, 1381:27, 1384:21, 1393:17 <b>detailing</b> [2] - 1373:4, 1393:11 <b>detected</b> [4] - 1397:4, 1398:5, 1398:25, 1407:1 <b>detecting</b> [2] - 1406:46, 1407:12 <b>detection</b> [3] - 1406:40, 1406:44, 1406:46 <b>detects</b> [1] - 1362:38 <b>determination</b> [1] - 1405:3 <b>determinative</b> [1] - 1395:8 <b>determined</b> [1] - 1376:6 <b>develop</b> [5] - 1383:3, 1383:42, 1383:43, 1408:6, 1408:22 <b>developed</b> [2] - 1354:37, 1383:36 <b>developing</b> [3] - 1381:9, 1383:29, 1392:29 <b>development</b> [1] - 1377:29 <b>DI</b> [3] - 1352:32, 1353:4, 1412:8 <b>diagram</b> [4] - 1362:21, 1364:10, 1386:23, 1387:32 <b>diagrams</b> [3] - 1378:45, 1382:24, 1388:18 <b>dialogue</b> [1] - 1369:4 <b>diameter</b> [1] - 1395:40 <b>difference</b> [2] - 1357:40, 1357:42 <b>differences</b> [1] - 1389:3	<b>different</b> [7] - 1356:24, 1368:41, 1369:33, 1377:23, 1379:34, 1387:23, 1389:43 <b>difficult</b> [3] - 1365:25, 1383:19, 1388:17 <b>dig</b> [1] - 1403:45 <b>digital</b> [2] - 1406:33, 1407:5 <b>diorite</b> [1] - 1361:23 <b>direct</b> [4] - 1363:31, 1400:20, 1400:22, 1400:24 <b>directed</b> [2] - 1400:7, 1400:24 <b>directly</b> [2] - 1386:44, 1399:45 <b>disciplinary</b> [1] - 1404:44 <b>discrete</b> [1] - 1375:30 <b>discussed</b> [2] - 1374:19, 1378:46 <b>discusses</b> [1] - 1406:25 <b>discussion</b> [3] - 1357:9, 1383:35, 1405:8 <b>disposal</b> [1] - 1401:9 <b>dispute</b> [2] - 1395:9, 1404:15 <b>disrupts</b> [1] - 1398:16 <b>distance</b> [4] - 1398:20, 1401:27, 1401:41, 1402:8 <b>distinction</b> [1] - 1354:11 <b>divergence</b> [1] - 1408:2 <b>doable</b> [1] - 1381:4 <b>document</b> [1] - 1374:3 <b>documents</b> [7] - 1386:18, 1406:1, 1411:29, 1411:32, 1411:46, 1412:1 <b>domain</b> [1] - 1394:36 <b>done</b> [14] - 1354:33, 1359:28, 1362:16, 1376:34, 1377:38, 1378:28, 1380:10, 1381:5, 1381:14, 1383:19, 1400:32, 1404:23, 1406:21 <b>double</b> [1] - 1382:9 <b>doubted</b> [1] - 1369:18 <b>down</b> [57] - 1354:16, 1359:44, 1360:12, 1360:18, 1361:28, 1361:35, 1364:21, 1364:24, 1364:37, 1364:41, 1365:32,	1366:14, 1367:23, 1370:5, 1371:5, 1371:39, 1373:20, 1374:17, 1376:25, 1379:43, 1380:10, 1380:23, 1381:42, 1381:44, 1382:2, 1382:41, 1384:28, 1385:33, 1386:41, 1389:45, 1390:28, 1391:31, 1391:37, 1392:4, 1392:12, 1392:14, 1392:17, 1393:7, 1393:10, 1396:9, 1397:16, 1397:18, 1397:19, 1397:36, 1397:43, 1397:46, 1398:1, 1399:44, 1400:19, 1401:14, 1401:15, 1401:26, 1401:40, 1407:29, 1408:40, 1409:15 <b>downhill</b> [1] - 1399:12 <b>downslope</b> [3] - 1354:20, 1378:21, 1390:21 <b>DPA.0005.0001.0001</b> [1] - 1359:13 <b>drain</b> [2] - 1382:40, 1409:26 <b>drainage</b> [5] - 1369:36, 1381:27, 1403:7, 1403:9, 1409:24 <b>draining</b> [2] - 1360:4, 1391:8 <b>drains</b> [16] - 1369:37, 1369:40, 1369:47, 1373:12, 1373:14, 1373:16, 1375:17, 1375:23, 1376:2, 1376:3, 1376:4, 1376:5, 1382:30, 1382:33, 1382:35 <b>drawing</b> [1] - 1365:20 <b>drawings</b> [2] - 1359:33, 1359:34 <b>drawn</b> [2] - 1364:29, 1382:10 <b>drew</b> [1] - 1396:23 <b>drill</b> [5] - 1371:26, 1371:29, 1373:23, 1373:24, 1382:34 <b>drilling</b> [3] - 1371:25, 1373:26, 1410:11 <b>driver</b> [1] - 1390:17 <b>driving</b> [2] - 1380:9, 1390:14 <b>Dromana</b> [3] -	1361:23, 1361:42, 1385:39 <b>drop</b> [1] - 1387:20 <b>due</b> [1] - 1412:20 <b>dug</b> [1] - 1400:42 <b>durability</b> [1] - 1373:1 <b>during</b> [3] - 1392:15, 1410:23, 1412:18 <b>dwelling</b> [1] - 1371:15 <b>dye</b> [1] - 1410:3	1360:7 <b>embankments</b> [3] - 1360:6, 1391:44, 1391:46 <b>embed</b> [1] - 1365:6 <b>embedment</b> [3] - 1396:38, 1401:25, 1403:12 <b>embodied</b> [1] - 1357:14 <b>embodies</b> [1] - 1367:43 <b>EMO</b> [1] - 1396:1 <b>employ</b> [1] - 1407:11 <b>employed</b> [1] - 1404:17 <b>enable</b> [1] - 1377:1 <b>Enbom</b> [1] - 1352:11 <b>encourage</b> [1] - 1365:25 <b>encumbered</b> [1] - 1389:44 <b>encumbrances</b> [2] - 1389:38, 1389:47 <b>end</b> [5] - 1353:39, 1359:14, 1364:40, 1384:23, 1412:5 <b>energy</b> [4] - 1365:44, 1365:46, 1366:10, 1366:11 <b>enforce</b> [1] - 1390:19 <b>enforceable</b> [2] - 1403:17, 1403:20 <b>enforcement</b> [2] - 1408:12, 1408:16 <b>enforces</b> [1] - 1378:17 <b>enforcing</b> [1] - 1378:25 <b>engaged</b> [2] - 1408:5, 1408:22 <b>engine</b> [1] - 1410:29 <b>engineer</b> [6] - 1392:2, 1395:4, 1399:17, 1399:20, 1399:28, 1407:33 <b>engineered</b> [6] - 1375:42, 1390:29, 1390:31, 1392:3, 1392:15, 1407:32 <b>engineering</b> [17] - 1355:22, 1357:3, 1358:45, 1368:2, 1375:3, 1389:13, 1392:16, 1400:18, 1400:25, 1401:2, 1403:26, 1404:14, 1404:40, 1405:15, 1405:19, 1408:30 <b>engineers</b> [1] - 1385:22
--	--	---	---	---

<p><b>enhanced</b> [1] - 1406:35</p> <p><b>ensuring</b> [1] - 1412:12</p> <p><b>entered</b> [1] - 1378:29</p> <p><b>entirety</b> [1] - 1404:9</p> <p><b>environment</b> [6] - 1378:35, 1380:43, 1380:44, 1380:46, 1392:44, 1392:46</p> <p><b>envisaged</b> [1] - 1369:12</p> <p><b>Epiq</b> [1] - 1412:17</p> <p><b>equipment</b> [1] - 1410:33</p> <p><b>erode</b> [1] - 1381:29</p> <p><b>eroding</b> [1] - 1381:25</p> <p><b>erosion</b> [3] - 1372:29, 1372:31, 1381:31</p> <p><b>escarpment</b> [13] - 1379:29, 1381:3, 1387:44, 1391:24, 1391:26, 1392:18, 1397:11, 1397:24, 1399:13, 1399:14, 1399:26, 1400:33, 1409:32</p> <p><b>especially</b> [2] - 1375:4, 1412:17</p> <p><b>essence</b> [1] - 1360:17</p> <p><b>essentially</b> [4] - 1388:30, 1391:3, 1403:45, 1410:15</p> <p><b>estimate</b> [4] - 1384:18, 1384:20, 1384:24, 1384:39</p> <p><b>estimating</b> [1] - 1384:6</p> <p><b>estimation</b> [1] - 1382:46</p> <p><b>et</b> [1] - 1377:33</p> <p><b>evacuate</b> [1] - 1380:34</p> <p><b>Evans</b> [2] - 1352:35, 1353:15</p> <p><b>EVANS</b> [1] - 1353:13</p> <p><b>evenly</b> [1] - 1371:17</p> <p><b>event</b> [13] - 1356:1, 1356:20, 1362:35, 1363:14, 1364:31, 1386:31, 1391:17, 1391:29, 1392:10, 1393:7, 1396:12, 1398:5, 1398:25</p> <p><b>eventuality</b> [1] - 1392:7</p> <p><b>everywhere</b> [1] - 1365:26</p> <p><b>evidence</b> [29] - 1353:31, 1365:15, 1367:4, 1369:5, 1390:4, 1390:24,</p>	<p>1393:5, 1394:13, 1395:5, 1395:9, 1395:33, 1396:35, 1397:26, 1397:41, 1398:29, 1398:34, 1399:47, 1405:2, 1405:46, 1406:8, 1406:32, 1406:34, 1407:5, 1407:26, 1408:1, 1410:39, 1411:22, 1411:23, 1411:47</p> <p><b>exactly</b> [1] - 1362:31</p> <p><b>EXAMINATION</b> [4] - 1353:28, 1388:46, 1393:45, 1407:17</p> <p><b>examined</b> [1] - 1377:45</p> <p><b>example</b> [12] - 1356:1, 1357:47, 1363:14, 1372:1, 1372:11, 1383:18, 1384:22, 1389:24, 1396:8, 1404:29, 1404:30, 1411:5</p> <p><b>except</b> [1] - 1385:33</p> <p><b>exception</b> [1] - 1372:23</p> <p><b>excludes</b> [1] - 1375:1</p> <p><b>exclusively</b> [1] - 1400:11</p> <p><b>exhibit</b> [2] - 1411:47, 1412:2</p> <p><b>existed</b> [1] - 1360:18</p> <p><b>existing</b> [3] - 1381:32, 1388:6, 1402:14</p> <p><b>expect</b> [12] - 1356:1, 1356:5, 1356:12, 1356:19, 1356:36, 1362:44, 1384:41, 1384:44, 1385:2, 1385:23, 1391:25, 1401:36</p> <p><b>expectation</b> [1] - 1384:30</p> <p><b>experience</b> [10] - 1374:15, 1378:27, 1378:39, 1383:2, 1384:16, 1385:24, 1389:20, 1390:18, 1391:46, 1392:20</p> <p><b>experienced</b> [3] - 1380:45, 1381:13, 1404:15</p> <p><b>expert</b> [3] - 1353:21, 1385:23, 1411:34</p> <p><b>experts</b> [3] - 1357:9, 1388:41, 1404:45</p> <p><b>explain</b> [5] - 1357:41, 1366:28, 1368:21,</p>	<p>1368:45, 1389:9</p> <p><b>exploded</b> [1] - 1370:46</p> <p><b>expressed</b> [2] - 1357:8, 1374:40</p> <p><b>extended</b> [2] - 1356:12, 1379:45</p> <p><b>extent</b> [5] - 1376:42, 1382:25, 1386:21, 1386:32, 1410:41</p> <p><b>extra</b> [1] - 1363:35</p> <p><b>extracted</b> [1] - 1364:2</p> <p><b>extraction</b> [1] - 1363:40</p>	<p>1400:3, 1407:19, 1412:2, 1412:30</p> <p><b>fibre</b> [1] - 1372:42</p> <p><b>fibreglass</b> [3] - 1372:44, 1373:1, 1373:32</p> <p><b>field</b> [1] - 1404:15</p> <p><b>figure</b> [2] - 1368:26, 1370:7</p> <p><b>fill</b> [70] - 1358:38, 1359:2, 1359:3, 1359:43, 1360:1, 1360:2, 1360:5, 1360:6, 1360:7, 1360:8, 1360:9, 1360:14, 1360:17, 1360:24, 1360:43, 1361:1, 1361:11, 1361:13, 1361:16, 1361:18, 1361:19, 1361:26, 1362:18, 1362:25, 1364:11, 1365:4, 1365:5, 1365:6, 1365:8, 1365:24, 1365:26, 1365:29, 1368:3, 1373:44, 1373:45, 1373:46, 1376:25, 1379:20, 1381:23, 1381:24, 1381:29, 1388:20, 1388:30, 1388:31, 1390:47, 1391:4, 1391:24, 1391:31, 1391:44, 1391:47, 1392:12, 1392:14, 1392:20, 1393:6, 1393:12, 1393:15, 1393:36, 1400:30, 1400:34, 1400:37, 1400:43, 1400:44, 1401:12, 1401:14, 1402:19, 1402:32, 1408:10</p> <p><b>fill's</b> [1] - 1365:27</p> <p><b>filled</b> [2] - 1405:28, 1405:29</p> <p><b>fills</b> [1] - 1388:20</p> <p><b>filter</b> [2] - 1381:22, 1381:25</p> <p><b>final</b> [5] - 1357:15, 1357:17, 1376:20, 1383:3, 1412:5</p> <p><b>finalising</b> [1] - 1412:20</p> <p><b>finally</b> [1] - 1412:16</p> <p><b>fine</b> [4] - 1359:39, 1362:13, 1372:10, 1382:36</p> <p><b>finished</b> [1] - 1374:17</p> <p><b>fire</b> [4] - 1409:37,</p>	<p>1410:20, 1410:28, 1410:29</p> <p><b>first</b> [11] - 1353:36, 1358:32, 1369:5, 1370:5, 1370:18, 1374:4, 1375:2, 1406:18, 1406:29, 1406:30, 1412:23</p> <p><b>fittings</b> [1] - 1395:23</p> <p><b>five</b> [9] - 1364:26, 1375:40, 1375:43, 1376:1, 1394:7, 1394:16, 1394:19, 1395:13, 1411:33</p> <p><b>five-year-old</b> [1] - 1395:13</p> <p><b>fix</b> [2] - 1407:2, 1407:4</p> <p><b>flanks</b> [1] - 1393:33</p> <p><b>flexibility</b> [2] - 1403:19, 1403:37</p> <p><b>flick</b> [1] - 1377:44</p> <p><b>flood</b> [1] - 1410:23</p> <p><b>flow</b> [21] - 1365:43, 1367:28, 1397:14, 1398:14, 1398:21, 1398:28, 1398:30, 1398:31, 1399:39, 1399:43, 1400:1, 1401:35, 1402:1, 1402:2, 1402:26, 1405:36, 1406:35, 1407:5, 1407:37</p> <p><b>flowable</b> [1] - 1401:3</p> <p><b>flowed</b> [1] - 1406:2</p> <p><b>flowing</b> [17] - 1367:23, 1396:42, 1397:3, 1397:9, 1397:10, 1397:36, 1397:41, 1397:43, 1397:46, 1398:1, 1398:39, 1401:14, 1401:15, 1401:32, 1401:45, 1401:47, 1407:29</p> <p><b>flows</b> [2] - 1391:2, 1397:37</p> <p><b>flushing</b> [1] - 1376:4</p> <p><b>focus</b> [2] - 1390:43, 1406:17</p> <p><b>Foley</b> [5] - 1352:38, 1353:6, 1388:44, 1393:43, 1411:16</p> <p><b>FOLEY</b> [21] - 1353:9, 1388:46, 1389:1, 1389:9, 1389:30, 1390:3, 1390:13, 1390:24, 1390:40, 1391:13, 1391:22, 1391:29, 1391:36, 1392:6, 1392:24, 1392:40, 1393:2,</p>
---	---	--	--	--

<p>1393:20, 1393:24, 1393:40, 1411:19 <b>follow</b> [2] - 1402:23, 1403:26 <b>following</b> [2] - 1364:35, 1368:23 <b>footing</b> [1] - 1388:2 <b>force</b> [3] - 1390:14, 1397:3, 1397:19 <b>forces</b> [3] - 1366:18, 1367:24, 1398:16 <b>forever</b> [2] - 1400:45, 1401:2 <b>form</b> [14] - 1358:18, 1358:19, 1358:35, 1368:14, 1369:30, 1370:45, 1373:37, 1373:43, 1374:20, 1390:42, 1393:28, 1393:31, 1393:32, 1409:32 <b>form's</b> [1] - 1373:41 <b>formally</b> [1] - 1359:14 <b>forms</b> [2] - 1361:31, 1362:3 <b>forward</b> [11] - 1361:4, 1362:7, 1362:8, 1368:42, 1370:7, 1370:11, 1372:9, 1378:14, 1378:40, 1409:33, 1410:14 <b>FOS</b> [1] - 1374:21 <b>foundations</b> [1] - 1389:44 <b>four</b> [4] - 1358:35, 1358:36, 1368:2, 1372:10 <b>fourth</b> [1] - 1361:5 <b>frame</b> [1] - 1355:11 <b>framework</b> [1] - 1406:25 <b>Frankston</b> [1] - 1400:33 <b>free</b> [4] - 1360:4, 1377:11, 1391:8, 1411:23 <b>freeway</b> [1] - 1402:13 <b>frequencies</b> [1] - 1410:32 <b>frequency</b> [4] - 1362:44, 1362:46, 1367:5, 1394:24 <b>frequently</b> [1] - 1363:9 <b>front</b> [1] - 1366:40 <b>full</b> [6] - 1375:24, 1379:19, 1385:14, 1393:14, 1405:28, 1405:29 <b>fully</b> [7] - 1375:14, 1375:16, 1375:18,</p>	<p>1383:1, 1383:29, 1383:36, 1384:6 <b>functionality</b> [1] - 1390:10 <b>fundamentals</b> [1] - 1375:2 <b>fuse</b> [2] - 1410:22 <b>future</b> [8] - 1355:19, 1357:32, 1363:29, 1374:6, 1389:42, 1391:17, 1394:3, 1397:6</p> <p style="text-align: center;"><b>G</b></p> <p><b>gabion</b> [9] - 1358:39, 1360:33, 1360:35, 1361:28, 1361:38, 1362:6, 1365:32, 1366:5, 1368:4 <b>gabions</b> [5] - 1359:3, 1362:3, 1362:5, 1366:23 <b>gal</b> [1] - 1372:45 <b>gallery</b> [1] - 1411:24 <b>galvanised</b> [1] - 1373:2 <b>garden</b> [11] - 1386:39, 1386:44, 1386:46, 1387:13, 1387:19, 1387:27, 1387:39, 1387:40, 1388:7, 1388:11, 1388:12 <b>gardens</b> [1] - 1398:47 <b>gas</b> [2] - 1405:22, 1405:27 <b>Geelong</b> [1] - 1372:1 <b>general</b> [2] - 1368:44, 1377:45 <b>generally</b> [5] - 1355:15, 1355:17, 1399:34, 1401:32, 1401:45 <b>gentle</b> [2] - 1387:43, 1387:44 <b>gently</b> [1] - 1373:25 <b>geologist</b> [1] - 1404:14 <b>geology</b> [1] - 1404:14 <b>geometry</b> [3] - 1373:36, 1374:20, 1393:33 <b>geophysics</b> [2] - 1410:7, 1410:42 <b>geotechnical</b> [3] - 1404:15, 1404:39, 1404:42 <b>given</b> [11] - 1371:14, 1376:46, 1390:6, 1390:41, 1392:36,</p>	<p>1394:12, 1395:5, 1396:17, 1397:26, 1401:12, 1408:2 <b>granite</b> [7] - 1361:23, 1361:42, 1364:22, 1364:25, 1364:26, 1385:39 <b>granite's</b> [1] - 1409:28 <b>granitic</b> [1] - 1381:28 <b>granular</b> [3] - 1397:10, 1398:28, 1398:41 <b>grasses</b> [2] - 1365:9, 1372:38 <b>gravel</b> [3] - 1398:13, 1405:28, 1407:29 <b>gravels</b> [1] - 1367:23 <b>gravity</b> [1] - 1402:40 <b>great</b> [1] - 1401:41 <b>greater</b> [2] - 1371:12, 1394:25 <b>greatly</b> [1] - 1406:37 <b>green</b> [3] - 1364:10, 1385:29 <b>grid</b> [1] - 1380:32 <b>ground</b> [11] - 1360:41, 1364:20, 1364:41, 1366:5, 1367:20, 1382:35, 1398:11, 1403:9, 1403:36, 1407:23, 1410:17 <b>groundwater</b> [26] - 1355:9, 1356:40, 1358:40, 1359:4, 1362:38, 1362:45, 1363:2, 1363:21, 1363:23, 1368:5, 1373:7, 1373:22, 1375:12, 1375:16, 1397:28, 1397:33, 1397:36, 1397:37, 1398:44, 1398:45, 1399:2, 1402:20, 1407:21, 1409:20, 1409:27 <b>grout</b> [1] - 1401:3 <b>grow</b> [12] - 1361:26, 1364:43, 1364:45, 1365:6, 1365:7, 1365:10, 1365:25, 1365:26, 1372:36, 1376:7, 1385:41, 1385:46 <b>growing</b> [3] - 1365:11, 1372:32, 1372:39 <b>growth</b> [1] - 1372:29 <b>guess</b> [4] - 1354:17, 1378:12, 1378:39, 1394:46 <b>gully</b> [5] - 1369:31, 1375:21, 1379:45,</p>	<p>1393:30, 1393:33 <b>gum</b> [1] - 1376:6 <b>gums</b> [1] - 1365:18</p> <p style="text-align: center;"><b>H</b></p> <p><b>habitation</b> [1] - 1355:19 <b>half</b> [5] - 1360:30, 1369:39, 1369:43, 1375:22, 1409:25 <b>half-metre</b> [1] - 1369:39 <b>Hamilton</b> [1] - 1383:18 <b>hand</b> [4] - 1371:29, 1379:11, 1387:26, 1411:36 <b>happy</b> [1] - 1383:7 <b>hard</b> [1] - 1378:36 <b>harder</b> [2] - 1402:7, 1402:36 <b>hat</b> [1] - 1404:40 <b>hazardous</b> [3] - 1380:44, 1392:44, 1392:45 <b>HDPE</b> [1] - 1395:13 <b>head</b> [3] - 1372:15, 1399:25, 1401:17 <b>heads</b> [2] - 1371:46, 1372:2 <b>headscarp</b> [1] - 1369:32 <b>hear</b> [1] - 1408:32 <b>heard</b> [5] - 1367:18, 1389:2, 1390:4, 1402:45, 1402:47 <b>hearing</b> [9] - 1359:14, 1365:15, 1369:10, 1391:1, 1397:27, 1400:1, 1411:30, 1412:5, 1412:23 <b>HEARING</b> [1] - 1412:43 <b>hearings</b> [5] - 1412:7, 1412:9, 1412:12, 1412:18, 1412:29 <b>height</b> [1] - 1393:14 <b>help</b> [3] - 1367:28, 1370:7, 1372:28 <b>helps</b> [1] - 1365:27 <b>high</b> [9] - 1356:7, 1360:42, 1364:16, 1365:45, 1365:47, 1367:5, 1384:24, 1395:47, 1410:16 <b>higher</b> [5] - 1374:29, 1384:22, 1394:5, 1394:30, 1394:34 <b>highest</b> [5] - 1406:17, 1406:23, 1406:28,</p>	<p>1406:30 <b>highlighted</b> [1] - 1387:31 <b>highway</b> [2] - 1376:10, 1383:18 <b>Highway</b> [1] - 1361:15 <b>hill</b> [11] - 1370:19, 1372:35, 1373:23, 1374:17, 1377:2, 1385:45, 1386:6, 1386:7, 1393:12, 1393:13, 1393:38 <b>historically</b> [1] - 1362:47 <b>history</b> [1] - 1390:6 <b>hit</b> [4] - 1409:27, 1409:28, 1409:29, 1410:19 <b>hole</b> [3] - 1388:20, 1388:30, 1410:34 <b>holes</b> [1] - 1410:11 <b>homes</b> [2] - 1412:33, 1412:36 <b>honest</b> [1] - 1375:42 <b>hoping</b> [1] - 1409:38 <b>horizontal</b> [1] - 1382:40 <b>hospital</b> [1] - 1406:28 <b>hot</b> [1] - 1353:21 <b>house</b> [4] - 1354:18, 1360:13, 1361:36, 1376:3 <b>houses</b> [5] - 1355:17, 1361:29, 1361:35, 1378:20, 1408:18 <b>human</b> [1] - 1356:30 <b>hundreds</b> [1] - 1405:43 <b>hydrant</b> [3] - 1409:37, 1410:29 <b>hydraulic</b> [1] - 1404:40</p> <p style="text-align: center;"><b>I</b></p> <p><b>idea</b> [3] - 1364:41, 1397:23, 1410:40 <b>ideally</b> [2] - 1399:21, 1399:24 <b>identification</b> [1] - 1406:37 <b>identified</b> [4] - 1358:35, 1358:44, 1368:3, 1392:25 <b>identify</b> [1] - 1376:11 <b>image</b> [1] - 1379:8 <b>imagine</b> [2] - 1376:40, 1400:42 <b>immediately</b> [1] - 1359:31</p>
--	--	--	--	---

<p><b>impact</b> [6] - 1365:46, 1378:23, 1402:19, 1403:11, 1406:24, 1412:32</p> <p><b>impacted</b> [2] - 1359:45, 1366:12</p> <p><b>impacting</b> [1] - 1361:36</p> <p><b>imperative</b> [1] - 1380:8</p> <p><b>impermeable</b> [16] - 1367:23, 1397:19, 1398:10, 1398:15, 1400:30, 1400:34, 1400:37, 1400:41, 1400:43, 1400:44, 1401:4, 1401:12, 1401:14, 1402:19, 1402:32, 1402:36</p> <p><b>implementation</b> [1] - 1383:4</p> <p><b>implemented</b> [5] - 1355:42, 1356:18, 1375:31, 1376:21, 1397:4</p> <p><b>implementing</b> [2] - 1380:4, 1385:25</p> <p><b>important</b> [8] - 1378:19, 1385:35, 1385:41, 1389:13, 1391:41, 1392:31, 1392:36, 1412:31</p> <p><b>importantly</b> [2] - 1360:3, 1391:8</p> <p><b>impracticable</b> [1] - 1403:44</p> <p><b>incline</b> [5] - 1369:37, 1373:18, 1375:22, 1376:5, 1382:30</p> <p><b>inclined</b> [3] - 1369:40, 1373:24, 1373:25</p> <p><b>include</b> [3] - 1374:7, 1383:29, 1395:6</p> <p><b>includes</b> [2] - 1378:46, 1406:9</p> <p><b>including</b> [5] - 1394:43, 1405:14, 1406:2, 1406:5, 1411:29</p> <p><b>inconvenience</b> [1] - 1399:3</p> <p><b>inconvenient</b> [1] - 1399:4</p> <p><b>increase</b> [3] - 1356:40, 1373:44, 1409:40</p> <p><b>increased</b> [1] - 1363:23</p> <p><b>incrementally</b> [1] - 1371:5</p> <p><b>indicates</b> [2] -</p>	<p>1377:38, 1386:32</p> <p><b>induced</b> [2] - 1361:32, 1363:25</p> <p><b>infiltration</b> [4] - 1354:38, 1356:11, 1356:35, 1363:31</p> <p><b>information</b> [1] - 1412:39</p> <p><b>infrastructure</b> [2] - 1404:26, 1406:5</p> <p><b>inherent</b> [1] - 1392:9</p> <p><b>inherently</b> [2] - 1380:43, 1392:43</p> <p><b>inhibited</b> [1] - 1398:21</p> <p><b>input</b> [3] - 1404:33, 1404:45, 1405:14</p> <p><b>Inquiry</b> [1] - 1352:4</p> <p><b>inquiry</b> [6] - 1353:31, 1358:34, 1412:11, 1412:17, 1412:31, 1412:39</p> <p><b>inside</b> [2] - 1361:39, 1403:37</p> <p><b>inspect</b> [3] - 1376:3, 1376:26, 1396:41</p> <p><b>inspecting</b> [1] - 1376:2</p> <p><b>install</b> [3] - 1371:2, 1371:5, 1371:6</p> <p><b>installation</b> [4] - 1358:40, 1373:6, 1373:11, 1395:6</p> <p><b>installed</b> [2] - 1362:38, 1366:45</p> <p><b>instance</b> [4] - 1396:17, 1397:40, 1399:12, 1405:13</p> <p><b>instructing</b> [1] - 1412:16</p> <p><b>insurance</b> [2] - 1357:47, 1389:21</p> <p><b>integrity</b> [5] - 1375:32, 1378:19, 1382:14, 1382:19, 1388:29</p> <p><b>intercept</b> [2] - 1396:11, 1400:20</p> <p><b>interlocked</b> [1] - 1392:2</p> <p><b>interlocking</b> [2] - 1360:3, 1391:4</p> <p><b>intermittently</b> [1] - 1397:31</p> <p><b>internal</b> [1] - 1368:35</p> <p><b>internally</b> [1] - 1381:25</p> <p><b>interrupt</b> [1] - 1401:8</p> <p><b>intersects</b> [1] - 1386:44</p> <p><b>intervene</b> [2] - 1401:34, 1401:35</p>	<p><b>intervention</b> [4] - 1396:44, 1400:26, 1401:37, 1402:14</p> <p><b>involve</b> [6] - 1385:3, 1390:26, 1390:38, 1408:6, 1408:14, 1411:33</p> <p><b>involved</b> [7] - 1376:12, 1378:15, 1381:6, 1392:30, 1392:31, 1392:34, 1408:23</p> <p><b>involvement</b> [1] - 1412:9</p> <p><b>irrespective</b> [1] - 1354:23</p> <p><b>issue</b> [9] - 1386:20, 1390:19, 1394:40, 1396:24, 1396:36, 1396:37, 1396:47, 1400:29, 1411:17</p> <p><b>itself</b> [2] - 1395:23, 1396:37</p>	<p>1362:1, 1362:32, 1368:13, 1369:24, 1369:30, 1373:37, 1373:41, 1373:43, 1374:16, 1374:20, 1376:13, 1376:35, 1382:6, 1388:38, 1390:41, 1390:44, 1391:15, 1393:28, 1393:32, 1399:12, 1409:32, 1409:47, 1411:6</p> <p><b>landowner</b> [1] - 1378:30</p> <p><b>landowners</b> [1] - 1358:23</p> <p><b>lands</b> [1] - 1394:26</p> <p><b>landscape</b> [2] - 1357:45, 1385:22</p> <p><b>landslide</b> [44] - 1352:4, 1355:9, 1355:11, 1355:14, 1355:42, 1356:22, 1356:24, 1357:46, 1359:47, 1360:13, 1361:33, 1361:34, 1363:33, 1369:32, 1374:7, 1374:8, 1378:15, 1379:26, 1379:27, 1379:31, 1380:42, 1380:43, 1381:12, 1389:25, 1390:42, 1391:17, 1391:29, 1392:11, 1392:43, 1393:8, 1396:1, 1398:31, 1399:4, 1400:25, 1400:33, 1404:32, 1404:35, 1404:43, 1405:33, 1406:9, 1406:35, 1406:45</p> <p><b>landslide's</b> [1] - 1389:23</p> <p><b>landslide-susceptible</b> [1] - 1405:33</p> <p><b>landslides</b> [10] - 1354:1, 1360:7, 1361:9, 1363:25, 1375:1, 1380:35, 1403:34, 1403:41, 1412:24, 1412:32</p> <p><b>Lane</b> [9] - 1354:13, 1355:16, 1359:45, 1360:14, 1361:30, 1362:1, 1362:2, 1362:24, 1374:5</p> <p><b>language</b> [1] - 1393:27</p> <p><b>larger</b> [1] - 1403:35</p>	<p><b>last</b> [9] - 1362:30, 1373:29, 1380:30, 1385:12, 1394:7, 1397:26, 1399:47, 1404:30, 1412:29</p> <p><b>lasts</b> [1] - 1401:2</p> <p><b>laterally</b> [1] - 1393:15</p> <p><b>layer</b> [3] - 1363:35, 1369:38, 1373:25</p> <p><b>lead</b> [1] - 1399:6</p> <p><b>leading</b> [1] - 1383:35</p> <p><b>leak</b> [28] - 1394:8, 1394:42, 1394:46, 1395:5, 1395:11, 1395:22, 1395:23, 1395:26, 1397:6, 1397:8, 1398:18, 1398:30, 1401:28, 1401:31, 1401:33, 1401:41, 1401:44, 1402:6, 1402:12, 1402:15, 1402:16, 1402:21, 1402:25, 1406:40, 1406:44, 1406:46, 1406:47, 1407:12</p> <p><b>leakage</b> [5] - 1394:5, 1394:30, 1394:35, 1395:1, 1395:14</p> <p><b>leakages</b> [1] - 1363:29</p> <p><b>leaked</b> [1] - 1367:4</p> <p><b>leaks</b> [11] - 1367:5, 1394:3, 1394:24, 1394:31, 1396:12, 1397:21, 1398:4, 1400:38, 1402:7, 1403:38, 1406:38</p> <p><b>leaky</b> [3] - 1401:46, 1407:28, 1409:20</p> <p><b>least</b> [12] - 1357:8, 1358:23, 1369:19, 1373:34, 1374:37, 1376:41, 1389:20, 1398:10, 1401:19, 1401:21, 1405:27, 1409:43</p> <p><b>leave</b> [5] - 1365:4, 1398:44, 1410:27, 1410:33, 1412:15</p> <p><b>led</b> [1] - 1380:3</p> <p><b>left</b> [3] - 1361:8, 1379:11, 1388:25</p> <p><b>left-hand</b> [1] - 1379:11</p> <p><b>legitimate</b> [1] - 1408:26</p> <p><b>level</b> [9] - 1355:33, 1361:3, 1362:40, 1364:36, 1388:22, 1388:38, 1396:5, 1396:7, 1397:15</p>
<b>J</b>				
<p><b>January/February</b> [1] - 1369:39</p> <p><b>job</b> [2] - 1376:10, 1392:34</p> <p><b>joins</b> [1] - 1395:23</p> <p><b>joint</b> [2] - 1381:26, 1389:3</p> <p><b>juniors</b> [1] - 1412:7</p>				
<b>K</b>				
<p><b>KC</b> [3] - 1352:11, 1352:32, 1352:35</p> <p><b>keen</b> [1] - 1373:33</p> <p><b>keep</b> [4] - 1361:19, 1361:20, 1376:19, 1382:34</p> <p><b>keeping</b> [1] - 1381:2</p> <p><b>kerb</b> [2] - 1399:25, 1399:43</p> <p><b>key</b> [1] - 1378:13</p> <p><b>kilometres</b> [1] - 1395:34</p> <p><b>kind</b> [3] - 1367:24, 1372:4, 1408:13</p> <p><b>Kittikhoun</b> [3] - 1352:33, 1353:4, 1412:8</p> <p><b>knows</b> [1] - 1385:14</p>				
<b>L</b>				
<p><b>land</b> [29] - 1353:47, 1354:23, 1358:18, 1358:19, 1361:2,</p>				

<p><b>levers</b> <sup>[1]</sup> - 1396:6</p> <p><b>life</b> <sup>[1]</sup> - 1356:30</p> <p><b>lift</b> <sup>[2]</sup> - 1371:30, 1397:43</p> <p><b>likelihood</b> <sup>[1]</sup> - 1394:3</p> <p><b>likely</b> <sup>[2]</sup> - 1364:31, 1383:38</p> <p><b>limit</b> <sup>[2]</sup> - 1384:28, 1384:32</p> <p><b>line</b> <sup>[7]</sup> - 1386:25, 1386:30, 1386:31, 1386:41, 1386:43, 1387:7, 1387:14</p> <p><b>line's</b> <sup>[1]</sup> - 1386:31</p> <p><b>link</b> <sup>[2]</sup> - 1401:24, 1401:40</p> <p><b>liquifill</b> <sup>[1]</sup> - 1400:34</p> <p><b>list</b> <sup>[3]</sup> - 1353:40, 1411:32, 1411:36</p> <p><b>literally</b> <sup>[4]</sup> - 1356:6, 1371:27, 1373:18, 1387:42</p> <p><b>load</b> <sup>[4]</sup> - 1391:7, 1393:14, 1393:35, 1393:37</p> <p><b>loaded</b> <sup>[1]</sup> - 1375:16</p> <p><b>loads</b> <sup>[2]</sup> - 1373:44, 1393:13</p> <p><b>local</b> <sup>[2]</sup> - 1361:23, 1361:42</p> <p><b>localised</b> <sup>[1]</sup> - 1404:11</p> <p><b>located</b> <sup>[1]</sup> - 1399:33</p> <p><b>location</b> <sup>[3]</sup> - 1395:40, 1398:18, 1399:18</p> <p><b>locations</b> <sup>[1]</sup> - 1362:31</p> <p><b>look</b> <sup>[11]</sup> - 1361:14, 1364:26, 1367:34, 1381:13, 1384:5, 1385:42, 1386:7, 1392:38, 1401:16, 1401:24</p> <p><b>looked</b> <sup>[3]</sup> - 1356:6, 1362:15, 1362:35</p> <p><b>looking</b> <sup>[12]</sup> - 1363:25, 1363:27, 1368:13, 1383:2, 1386:14, 1387:19, 1387:37, 1393:31, 1398:18, 1401:27, 1401:40, 1408:17</p> <p><b>looks</b> <sup>[1]</sup> - 1386:43</p> <p><b>loses</b> <sup>[1]</sup> - 1391:2</p> <p><b>loss</b> <sup>[1]</sup> - 1372:47</p> <p><b>lost</b> <sup>[1]</sup> - 1361:2</p>	<p>1367:12, 1384:9, 1389:7, 1391:20, 1395:44</p> <p><b>machines</b> <sup>[3]</sup> - 1362:24, 1379:28, 1381:3</p> <p><b>Madam</b> <sup>[6]</sup> - 1353:3, 1353:21, 1353:38, 1388:40, 1409:10, 1411:28</p> <p><b>main</b> <sup>[10]</sup> - 1354:45, 1390:17, 1398:12, 1398:14, 1398:24, 1403:47, 1404:31, 1405:23, 1405:27, 1409:22</p> <p><b>mains</b> <sup>[8]</sup> - 1367:9, 1395:28, 1398:4, 1398:12, 1398:36, 1398:40, 1399:33, 1406:21</p> <p><b>maintain</b> <sup>[2]</sup> - 1375:32, 1410:1</p> <p><b>maintained</b> <sup>[1]</sup> - 1382:37</p> <p><b>maintaining</b> <sup>[1]</sup> - 1378:31</p> <p><b>maintenance</b> <sup>[29]</sup> - 1369:42, 1375:30, 1375:32, 1376:22, 1376:24, 1376:27, 1378:14, 1378:18, 1378:26, 1382:39, 1385:18, 1389:38, 1389:47, 1390:17, 1390:20, 1390:26, 1390:32, 1393:18, 1394:11, 1394:12, 1394:13, 1406:16, 1408:12, 1408:15, 1408:16, 1408:29, 1408:31, 1409:7</p> <p><b>major</b> <sup>[1]</sup> - 1392:11</p> <p><b>majority</b> <sup>[1]</sup> - 1369:31</p> <p><b>manage</b> <sup>[1]</sup> - 1399:19</p> <p><b>management</b> <sup>[3]</sup> - 1405:47, 1406:3, 1406:7</p> <p><b>manholes</b> <sup>[2]</sup> - 1400:46, 1401:7</p> <p><b>map</b> <sup>[3]</sup> - 1376:34, 1394:30, 1394:31</p> <p><b>mapped</b> <sup>[1]</sup> - 1394:24</p> <p><b>maps</b> <sup>[1]</sup> - 1359:30</p> <p><b>masonry</b> <sup>[1]</sup> - 1388:7</p> <p><b>mass</b> <sup>[1]</sup> - 1366:9</p> <p><b>match</b> <sup>[3]</sup> - 1361:25, 1373:25, 1379:26</p> <p><b>material</b> <sup>[8]</sup> - 1353:40, 1385:33, 1386:1,</p>	<p>1391:45, 1393:6, 1401:4, 1401:25, 1403:12</p> <p><b>materials</b> <sup>[5]</sup> - 1359:46, 1361:20, 1367:19, 1385:34, 1391:3</p> <p><b>matter</b> <sup>[5]</sup> - 1354:17, 1354:21, 1371:22, 1375:26, 1381:27</p> <p><b>matters</b> <sup>[2]</sup> - 1364:39, 1375:3</p> <p><b>McCrae</b> <sup>[12]</sup> - 1352:4, 1394:2, 1394:6, 1394:8, 1395:34, 1395:42, 1397:27, 1400:42, 1403:44, 1403:45, 1404:9, 1406:38</p> <p><b>McDermott</b> <sup>[2]</sup> - 1352:35, 1353:13</p> <p><b>mean</b> <sup>[14]</sup> - 1355:15, 1357:13, 1363:14, 1386:38, 1389:20, 1390:47, 1392:40, 1393:13, 1396:18, 1399:3, 1402:11, 1403:30, 1408:14, 1408:35</p> <p><b>meaning</b> <sup>[1]</sup> - 1357:44</p> <p><b>meaningful</b> <sup>[1]</sup> - 1357:9</p> <p><b>means</b> <sup>[2]</sup> - 1382:33, 1390:29</p> <p><b>measure</b> <sup>[1]</sup> - 1407:7</p> <p><b>measures</b> <sup>[6]</sup> - 1378:36, 1405:34, 1406:11, 1406:21, 1406:34, 1407:4</p> <p><b>mechanism</b> <sup>[2]</sup> - 1363:33, 1364:1</p> <p><b>meet</b> <sup>[1]</sup> - 1374:37</p> <p><b>meetings</b> <sup>[1]</sup> - 1404:33</p> <p><b>meets</b> <sup>[1]</sup> - 1367:23</p> <p><b>Melbourne</b> <sup>[1]</sup> - 1352:18</p> <p><b>mention</b> <sup>[5]</sup> - 1366:31, 1367:10, 1374:43, 1381:31, 1384:4</p> <p><b>mentioned</b> <sup>[9]</sup> - 1364:40, 1365:37, 1368:1, 1378:15, 1381:1, 1385:34, 1389:39, 1407:22, 1411:35</p> <p><b>mesh</b> <sup>[16]</sup> - 1361:39, 1370:21, 1370:23, 1370:28, 1371:1, 1371:7, 1372:4,</p>	<p>1372:19, 1373:2, 1379:14, 1379:16, 1385:17, 1385:45, 1386:6, 1386:36, 1387:41</p> <p><b>mess</b> <sup>[1]</sup> - 1380:24</p> <p><b>metal</b> <sup>[2]</sup> - 1372:41, 1385:44</p> <p><b>meters</b> <sup>[2]</sup> - 1406:33, 1407:5</p> <p><b>method</b> <sup>[2]</sup> - 1378:25, 1380:15</p> <p><b>methodology</b> <sup>[1]</sup> - 1408:3</p> <p><b>methods</b> <sup>[3]</sup> - 1406:40, 1406:44, 1410:7</p> <p><b>metre</b> <sup>[9]</sup> - 1360:30, 1361:28, 1369:39, 1369:43, 1375:22, 1385:13, 1385:15, 1395:35, 1409:25</p> <p><b>metres</b> <sup>[7]</sup> - 1364:27, 1365:45, 1385:16, 1401:28, 1403:46, 1409:27, 1409:29</p> <p><b>might</b> <sup>[47]</sup> - 1355:10, 1355:14, 1356:22, 1356:24, 1357:47, 1358:45, 1359:28, 1364:42, 1366:2, 1366:18, 1366:19, 1366:29, 1367:21, 1369:43, 1370:7, 1377:6, 1378:42, 1379:14, 1383:44, 1386:23, 1388:16, 1390:43, 1391:14, 1391:31, 1392:12, 1393:2, 1393:4, 1393:7, 1394:47, 1396:7, 1396:8, 1396:34, 1398:14, 1398:30, 1399:13, 1401:7, 1401:25, 1402:7, 1403:11, 1403:18, 1404:7, 1405:14, 1405:29, 1406:33, 1407:19, 1410:32</p> <p><b>migrate</b> <sup>[1]</sup> - 1367:25</p> <p><b>migrating</b> <sup>[1]</sup> - 1363:27</p> <p><b>mill</b> <sup>[2]</sup> - 1360:42, 1364:16</p> <p><b>million</b> <sup>[3]</sup> - 1384:11, 1385:16, 1395:42</p> <p><b>mind</b> <sup>[7]</sup> - 1355:1, 1365:1, 1365:40, 1376:40, 1379:2,</p>	<p>1380:26, 1381:8</p> <p><b>mine</b> <sup>[1]</sup> - 1385:39</p> <p><b>minimised</b> <sup>[1]</sup> - 1355:43</p> <p><b>minimum</b> <sup>[4]</sup> - 1374:21, 1374:25, 1374:27, 1374:40</p> <p><b>minute</b> <sup>[3]</sup> - 1376:19, 1382:23, 1382:44</p> <p><b>mitigate</b> <sup>[8]</sup> - 1355:8, 1361:20, 1375:12, 1377:19, 1377:26, 1377:28, 1378:4, 1386:10</p> <p><b>mitigated</b> <sup>[1]</sup> - 1354:39</p> <p><b>mitigates</b> <sup>[3]</sup> - 1390:47, 1391:6, 1408:14</p> <p><b>mitigating</b> <sup>[3]</sup> - 1358:46, 1391:9</p> <p><b>mitigation</b> <sup>[44]</sup> - 1353:21, 1353:34, 1353:46, 1353:47, 1354:8, 1354:13, 1355:20, 1355:27, 1355:29, 1356:43, 1357:41, 1358:33, 1359:2, 1359:4, 1359:16, 1362:8, 1367:44, 1368:11, 1369:6, 1374:9, 1377:21, 1378:16, 1378:21, 1378:22, 1378:36, 1380:42, 1381:12, 1389:5, 1389:11, 1390:25, 1390:33, 1390:34, 1390:37, 1390:43, 1391:10, 1392:43, 1394:4, 1398:35, 1403:30, 1408:4, 1408:5, 1408:6, 1408:10, 1408:23</p> <p><b>model</b> <sup>[4]</sup> - 1375:24, 1406:3, 1406:25, 1406:27</p> <p><b>moment</b> <sup>[8]</sup> - 1353:32, 1354:12, 1375:29, 1378:44, 1379:1, 1398:43, 1403:4, 1403:10</p> <p><b>Monday</b> <sup>[1]</sup> - 1352:24</p> <p><b>money</b> <sup>[2]</sup> - 1384:45, 1406:16</p> <p><b>monitoring</b> <sup>[4]</sup> - 1363:21, 1407:12, 1410:16, 1410:19</p> <p><b>month</b> <sup>[2]</sup> - 1383:23, 1383:44</p>
<b>M</b>				
<b>m'hmm</b> <sup>[9]</sup> - 1360:21, 1365:35, 1366:34,				

<b>months</b> [9] - 1383:17, 1383:18, 1383:19, 1383:25, 1383:26, 1383:28, 1383:39, 1383:46, 1384:1 <b>moore</b> [1] - 1412:17 <b>morning</b> [2] - 1353:4, 1389:2 <b>Mornington</b> [1] - 1352:39 <b>most</b> [11] - 1359:8, 1359:12, 1360:3, 1364:5, 1374:29, 1387:44, 1398:4, 1406:24, 1407:24, 1407:33, 1408:41 <b>move</b> [6] - 1357:38, 1360:11, 1362:11, 1371:5, 1375:9, 1381:17 <b>moved</b> [1] - 1360:18 <b>movement</b> [1] - 1395:6 <b>moves</b> [1] - 1403:36 <b>MR</b> [506] - 1353:3, 1353:21, 1353:28, 1353:30, 1353:45, 1354:3, 1354:5, 1354:7, 1354:11, 1354:16, 1354:23, 1354:26, 1354:28, 1354:30, 1354:32, 1354:35, 1354:37, 1354:41, 1354:43, 1354:45, 1355:1, 1355:3, 1355:6, 1355:8, 1355:13, 1355:22, 1355:25, 1355:27, 1355:29, 1355:31, 1355:35, 1355:37, 1355:39, 1355:45, 1355:47, 1356:5, 1356:10, 1356:15, 1356:17, 1356:22, 1356:28, 1356:32, 1356:34, 1356:39, 1356:42, 1356:46, 1357:1, 1357:3, 1357:7, 1357:11, 1357:13, 1357:17, 1357:20, 1357:22, 1357:26, 1357:29, 1357:31, 1357:34, 1357:36, 1357:38, 1357:44, 1358:5, 1358:8, 1358:10, 1358:13, 1358:15, 1358:17, 1358:21, 1358:25, 1358:27, 1358:29, 1358:32, 1358:42, 1359:1, 1359:7, 1359:10, 1359:12, 1359:18, 1359:20, 1359:23, 1359:25, 1359:33, 1359:36, 1359:39, 1359:41, 1359:43, 1360:16, 1360:21, 1360:23, 1360:26, 1360:28, 1360:30, 1360:32, 1360:35, 1360:38, 1360:40, 1360:45, 1361:1, 1361:38, 1361:41, 1361:45, 1361:47, 1362:11, 1362:13, 1362:21, 1362:23, 1363:4, 1363:6, 1363:13, 1363:16, 1363:18, 1363:20, 1363:35, 1363:38, 1363:40, 1363:43, 1363:45, 1364:4, 1364:8, 1364:13, 1364:15, 1364:18, 1364:20, 1364:24, 1364:29, 1364:34, 1364:39, 1364:45, 1365:1, 1365:3, 1365:14, 1365:23, 1365:32, 1365:35, 1365:37, 1365:42, 1366:5, 1366:8, 1366:16, 1366:22, 1366:27, 1366:34, 1366:36, 1366:38, 1366:40, 1366:42, 1366:44, 1367:3, 1367:9, 1367:12, 1367:14, 1367:17, 1367:31, 1367:37, 1367:39, 1367:41, 1367:43, 1367:46, 1368:1, 1368:8, 1368:10, 1368:13, 1368:16, 1368:19, 1368:21, 1368:25, 1368:29, 1368:32, 1368:34, 1368:37, 1368:39, 1368:41, 1368:44, 1369:2, 1369:4, 1369:8, 1369:10, 1369:15, 1369:17, 1369:21, 1369:23, 1369:28, 1369:46, 1370:2, 1370:4, 1370:7, 1370:9, 1370:11, 1370:13, 1370:15, 1370:17, 1370:21, 1370:23, 1370:25, 1370:27, 1370:31, 1370:33, 1370:38, 1370:41, 1370:43, 1370:45, 1371:1, 1371:10, 1371:14, 1371:17, 1371:19, 1371:21, 1371:24, 1371:33, 1371:36, 1371:38, 1371:41, 1371:43, 1371:46, 1372:4, 1372:7, 1372:9, 1372:13, 1372:15, 1372:17, 1372:19, 1372:22, 1372:26, 1372:28, 1372:34, 1372:38, 1372:41, 1372:44, 1373:6, 1373:9, 1373:11, 1373:14, 1373:16, 1373:18, 1373:20, 1373:22, 1373:29, 1373:31, 1373:36, 1373:41, 1374:1, 1374:11, 1374:13, 1374:15, 1374:19, 1374:23, 1374:25, 1374:27, 1374:32, 1374:35, 1374:37, 1374:40, 1374:43, 1374:47, 1375:9, 1375:14, 1375:28, 1375:35, 1375:37, 1375:40, 1376:10, 1376:15, 1376:18, 1376:24, 1376:32, 1376:37, 1376:39, 1376:44, 1376:46, 1377:4, 1377:6, 1377:13, 1377:15, 1377:19, 1377:23, 1377:28, 1377:31, 1377:33, 1377:37, 1377:41, 1377:44, 1378:1, 1378:3, 1378:7, 1378:9, 1378:12, 1378:42, 1379:4, 1379:6, 1379:8, 1379:10, 1379:19, 1379:23, 1379:26, 1379:33, 1379:36, 1379:38, 1379:41, 1380:2, 1380:6, 1380:8, 1380:13, 1380:15, 1380:18, 1380:20, 1380:23, 1380:26, 1380:30, 1380:38, 1380:41, 1381:8, 1381:11, 1381:17, 1381:21, 1381:31, 1381:35, 1381:37, 1381:40, 1381:42, 1381:44, 1381:47, 1382:2, 1382:5, 1382:9, 1382:12, 1382:17, 1382:23, 1382:33, 1382:44, 1383:7, 1383:10, 1383:13, 1383:15, 1383:17, 1383:22, 1383:28, 1383:32, 1383:35, 1383:42, 1384:4, 1384:9, 1384:11, 1384:13, 1384:15, 1384:18, 1384:30, 1384:34, 1384:37, 1384:44, 1385:2, 1385:6, 1385:9, 1385:12, 1385:21, 1385:32, 1386:3, 1386:5, 1386:9, 1386:14, 1386:18, 1386:27, 1386:29, 1386:35, 1386:38, 1386:41, 1386:43, 1386:46, 1387:2, 1387:4, 1387:6, 1387:9, 1387:11, 1387:16, 1387:18, 1387:22, 1387:26, 1387:29, 1387:31, 1387:34, 1387:36, 1387:39, 1387:47, 1388:4, 1388:6, 1388:9, 1388:11, 1388:14, 1388:16, 1388:20, 1388:25, 1388:28, 1388:33, 1388:36, 1388:40, 1389:7, 1389:13, 1389:36, 1390:9, 1390:16, 1390:28, 1390:47, 1391:20, 1391:24, 1391:33, 1391:40, 1392:14, 1392:29, 1392:43, 1393:10, 1393:22, 1393:30, 1394:11, 1394:19, 1394:23, 1394:34, 1394:46, 1395:11, 1395:20, 1395:26, 1395:31, 1395:37, 1395:44, 1396:4, 1396:22, 1396:31, 1396:40, 1397:8, 1397:18, 1397:31, 1397:36, 1397:46, 1398:8, 1398:27, 1398:38, 1399:2, 1399:8, 1399:16, 1399:28, 1399:36, 1399:42, 1400:5, 1400:11, 1400:17, 1400:32, 1401:2, 1401:19, 1401:31, 1401:43, 1402:11, 1402:25, 1402:35, 1402:43, 1402:47, 1403:15, 1403:26, 1403:33, 1404:3, 1404:19, 1404:23, 1404:29, 1404:42, 1405:6, 1405:10, 1405:17, 1405:26, 1405:36, 1405:43, 1406:14, 1406:27, 1406:40, 1406:44, 1407:10, 1407:17, 1407:19, 1407:28, 1407:36, 1407:40, 1407:42, 1407:45, 1407:47, 1408:10, 1408:22, 1408:28, 1408:35, 1408:37, 1408:39, 1408:43, 1408:46, 1409:6, 1409:10, 1409:17, 1409:37, 1410:7, 1410:27, 1410:37, 1410:44, 1410:46, 1411:2, 1411:4, 1411:8, 1411:10, 1411:12, 1411:14, 1411:28, 1411:40 <b>MS</b> [86] - 1353:9, 1353:13, 1353:17, 1388:46, 1389:1, 1389:9, 1389:30, 1390:3, 1390:13, 1390:24, 1390:40, 1391:13, 1391:22, 1391:29, 1391:36, 1392:6, 1392:24, 1392:40, 1393:2, 1393:20, 1393:24, 1393:40, 1393:45, 1393:47, 1394:16, 1394:21, 1394:29, 1394:42, 1395:4, 1395:17, 1395:22, 1395:28, 1395:33, 1395:39, 1395:46, 1396:16, 1396:29, 1396:33, 1396:47, 1397:13, 1397:26, 1397:33, 1397:40, 1398:3, 1398:23, 1398:34, 1398:43, 1399:6, 1399:10, 1399:24, 1399:31,				
--	--	--	--	--

<p>1399:38, 1399:47, 1400:7, 1400:13, 1400:29, 1400:41, 1401:12, 1401:23, 1401:39, 1402:5, 1402:19, 1402:31, 1402:39, 1402:45, 1403:2, 1403:23, 1403:29, 1403:43, 1404:13, 1404:21, 1404:25, 1404:38, 1405:1, 1405:8, 1405:13, 1405:22, 1405:31, 1405:40, 1405:46, 1406:20, 1406:32, 1406:42, 1407:4, 1407:15, 1411:19 <b>MSC.5088.0001.0007</b> [2] - 1367:33, 1386:20 <b>multi</b> [1] - 1404:44 <b>multi-disciplinary</b> [1] - 1404:44 <b>must</b> [3] - 1374:7, 1376:41, 1398:9</p>	<p><b>naturally</b> [2] - 1397:28, 1397:37 <b>nature</b> [1] - 1385:26 <b>near</b> [4] - 1356:6, 1372:45, 1382:17, 1401:5 <b>necessarily</b> [10] - 1356:24, 1357:13, 1357:15, 1367:27, 1376:21, 1380:16, 1382:46, 1389:15, 1389:33, 1397:8 <b>necessary</b> [4] - 1358:11, 1358:17, 1375:32, 1379:17 <b>need</b> [47] - 1353:22, 1354:24, 1357:31, 1361:21, 1362:40, 1363:7, 1363:10, 1363:13, 1363:18, 1364:6, 1364:21, 1366:11, 1366:14, 1367:26, 1369:43, 1374:37, 1375:17, 1375:25, 1375:38, 1380:31, 1380:32, 1380:44, 1380:46, 1380:47, 1381:24, 1381:27, 1382:40, 1383:33, 1383:35, 1383:36, 1383:37, 1384:39, 1397:31, 1400:45, 1405:43, 1406:23, 1408:15, 1409:38, 1410:16, 1410:35, 1412:26, 1412:27 <b>needed</b> [9] - 1362:35, 1362:42, 1363:1, 1366:9, 1375:45, 1384:23, 1404:44, 1410:5, 1410:30 <b>needing</b> [2] - 1381:22, 1382:14 <b>needn't</b> [1] - 1365:37 <b>needs</b> [6] - 1353:40, 1371:12, 1377:29, 1378:25, 1380:27, 1410:5 <b>Nepean</b> [3] - 1355:17, 1361:15, 1361:29 <b>netting</b> [1] - 1354:19 <b>never</b> [2] - 1409:38, 1409:43 <b>news</b> [1] - 1394:36 <b>next</b> [8] - 1362:11, 1362:13, 1362:14, 1362:30, 1362:31, 1370:38, 1412:2 <b>nicely</b> [1] - 1362:6</p>	<p><b>night</b> [2] - 1406:34, 1407:5 <b>nine</b> [2] - 1383:23, 1383:28 <b>nine-month</b> [1] - 1383:23 <b>no-one's</b> [1] - 1373:33 <b>nominated</b> [2] - 1383:23, 1391:42 <b>north</b> [2] - 1373:31, 1374:30 <b>note</b> [3] - 1374:4, 1388:1, 1389:13 <b>noted</b> [2] - 1366:44, 1389:3 <b>nothing</b> [2] - 1377:37, 1394:43 <b>notion</b> [1] - 1363:45 <b>nowhere</b> [1] - 1401:5 <b>nuisance</b> [1] - 1398:46 <b>number</b> [3] - 1385:37, 1390:36, 1403:34 <b>numbered</b> [1] - 1411:46 <b>numbers</b> [3] - 1411:43, 1411:47, 1412:2</p>	<p>1374:32, 1383:30, 1384:25, 1384:26, 1387:12, 1390:31, 1391:2, 1391:24, 1399:43, 1406:47 <b>one</b> [53] - 1354:41, 1354:45, 1355:10, 1357:5, 1358:38, 1359:30, 1362:14, 1362:30, 1362:31, 1366:16, 1366:27, 1368:17, 1368:46, 1370:13, 1370:38, 1375:30, 1376:39, 1377:1, 1378:13, 1378:21, 1378:45, 1381:45, 1382:24, 1384:25, 1385:37, 1387:12, 1387:13, 1387:14, 1387:18, 1387:36, 1387:47, 1388:21, 1389:2, 1390:16, 1390:22, 1390:40, 1390:43, 1391:25, 1391:30, 1396:7, 1396:9, 1396:13, 1398:17, 1400:14, 1400:41, 1404:3, 1404:4, 1406:46, 1409:14, 1410:37, 1410:40 <b>one's</b> [2] - 1373:33, 1396:10 <b>ongoing</b> [7] - 1356:11, 1375:31, 1376:22, 1376:24, 1376:27, 1378:18, 1390:26 <b>onwards</b> [1] - 1368:26 <b>open</b> [1] - 1375:11 <b>operate</b> [1] - 1363:8 <b>opinion</b> [3] - 1377:25, 1384:38, 1385:24 <b>opportunity</b> [2] - 1353:32, 1377:7 <b>opposed</b> [3] - 1356:10, 1369:17, 1392:9 <b>optimise</b> [1] - 1384:26 <b>option</b> [15] - 1357:5, 1359:1, 1366:20, 1367:6, 1372:46, 1378:39, 1378:40, 1389:15, 1389:27, 1391:10, 1391:11, 1391:30, 1405:20, 1409:7 <b>options</b> [12] - 1357:4, 1358:35, 1358:37, 1359:8, 1362:36, 1366:20, 1371:14,</p>	<p>1372:44, 1389:14, 1389:28, 1405:3, 1405:10 <b>order</b> [1] - 1395:42 <b>ordinarily</b> [1] - 1389:32 <b>original</b> [1] - 1390:10 <b>otherwise</b> [1] - 1382:10 <b>ought</b> [2] - 1359:28, 1376:32 <b>outline</b> [1] - 1359:27 <b>outside</b> [2] - 1394:26, 1401:17 <b>overflow</b> [1] - 1400:8 <b>overview</b> [1] - 1353:33 <b>own</b> [2] - 1373:42, 1409:19 <b>owner</b> [2] - 1374:16, 1410:15 <b>ownership</b> [1] - 1411:12</p>
<b>N</b>				
<p><b>nail</b> [5] - 1359:1, 1375:24, 1380:9, 1385:10, 1390:4 <b>nails</b> [35] - 1358:37, 1368:3, 1368:47, 1369:19, 1369:25, 1369:35, 1370:18, 1370:27, 1371:2, 1371:3, 1371:4, 1371:17, 1371:43, 1372:4, 1372:15, 1372:35, 1372:41, 1373:29, 1374:28, 1375:5, 1375:44, 1376:19, 1376:40, 1376:41, 1377:1, 1379:14, 1379:16, 1385:16, 1385:44, 1386:6, 1387:41, 1389:37, 1389:41, 1389:45, 1390:30 <b>name</b> [1] - 1400:3 <b>national</b> [5] - 1378:34, 1385:36, 1403:2, 1403:3, 1403:6 <b>natural</b> [11] - 1363:28, 1378:35, 1385:32, 1385:34, 1385:38, 1385:40, 1385:42, 1386:1, 1397:27, 1403:8</p>		<b>O</b>		
		<p><b>obligations</b> [1] - 1378:30 <b>observe</b> [1] - 1402:15 <b>obstruction</b> [1] - 1399:25 <b>obviously</b> [2] - 1379:12, 1404:13 <b>occasionally</b> [1] - 1376:26 <b>occur</b> [1] - 1357:31 <b>occurred</b> [3] - 1356:2, 1356:20, 1356:25 <b>occurring</b> [2] - 1355:29, 1355:43 <b>ocean</b> [1] - 1372:47 <b>offering</b> [1] - 1385:23 <b>offers</b> [2] - 1389:4, 1389:5 <b>offsets</b> [5] - 1408:17, 1408:29, 1408:33, 1408:35, 1408:37 <b>offsite</b> [1] - 1366:23 <b>often</b> [2] - 1375:37, 1378:37 <b>old</b> [2] - 1393:32, 1395:13 <b>once</b> [15] - 1353:30, 1359:15, 1362:38, 1365:7, 1365:8,</p>	<p>1374:32, 1383:30, 1384:25, 1384:26, 1387:12, 1390:31, 1391:2, 1391:24, 1399:43, 1406:47 <b>one</b> [53] - 1354:41, 1354:45, 1355:10, 1357:5, 1358:38, 1359:30, 1362:14, 1362:30, 1362:31, 1366:16, 1366:27, 1368:17, 1368:46, 1370:13, 1370:38, 1375:30, 1376:39, 1377:1, 1378:13, 1378:21, 1378:45, 1381:45, 1382:24, 1384:25, 1385:37, 1387:12, 1387:13, 1387:14, 1387:18, 1387:36, 1387:47, 1388:21, 1389:2, 1390:16, 1390:22, 1390:40, 1390:43, 1391:25, 1391:30, 1396:7, 1396:9, 1396:13, 1398:17, 1400:14, 1400:41, 1404:3, 1404:4, 1406:46, 1409:14, 1410:37, 1410:40 <b>one's</b> [2] - 1373:33, 1396:10 <b>ongoing</b> [7] - 1356:11, 1375:31, 1376:22, 1376:24, 1376:27, 1378:18, 1390:26 <b>onwards</b> [1] - 1368:26 <b>open</b> [1] - 1375:11 <b>operate</b> [1] - 1363:8 <b>opinion</b> [3] - 1377:25, 1384:38, 1385:24 <b>opportunity</b> [2] - 1353:32, 1377:7 <b>opposed</b> [3] - 1356:10, 1369:17, 1392:9 <b>optimise</b> [1] - 1384:26 <b>option</b> [15] - 1357:5, 1359:1, 1366:20, 1367:6, 1372:46, 1378:39, 1378:40, 1389:15, 1389:27, 1391:10, 1391:11, 1391:30, 1405:20, 1409:7 <b>options</b> [12] - 1357:4, 1358:35, 1358:37, 1359:8, 1362:36, 1366:20, 1371:14,</p>	<p>1372:44, 1389:14, 1389:28, 1405:3, 1405:10 <b>order</b> [1] - 1395:42 <b>ordinarily</b> [1] - 1389:32 <b>original</b> [1] - 1390:10 <b>otherwise</b> [1] - 1382:10 <b>ought</b> [2] - 1359:28, 1376:32 <b>outline</b> [1] - 1359:27 <b>outside</b> [2] - 1394:26, 1401:17 <b>overflow</b> [1] - 1400:8 <b>overview</b> [1] - 1353:33 <b>own</b> [2] - 1373:42, 1409:19 <b>owner</b> [2] - 1374:16, 1410:15 <b>ownership</b> [1] - 1411:12</p>
<b>P</b>				
		<p><b>packed</b> [1] - 1402:31 <b>page</b> [7] - 1362:11, 1362:13, 1362:14, 1364:8, 1368:26, 1370:38, 1387:47 <b>pages</b> [3] - 1370:11, 1372:10 <b>paleochannels</b> [1] - 1400:2 <b>paper</b> [1] - 1396:23 <b>paragraph</b> [5] - 1365:39, 1366:29, 1394:1, 1396:33, 1397:1 <b>park</b> [2] - 1385:36, 1385:37 <b>parks</b> [1] - 1378:34 <b>part</b> [13] - 1356:25, 1357:8, 1357:31, 1361:29, 1365:30, 1368:22, 1370:35, 1371:11, 1392:36, 1399:20, 1404:5, 1406:6, 1411:4 <b>particular</b> [8] - 1367:14, 1372:20, 1385:26, 1385:28, 1390:5, 1393:4, 1403:17, 1407:37 <b>particularly</b> [5] - 1378:19, 1385:36, 1386:7, 1389:21, 1404:5 <b>parties</b> [2] - 1412:15, 1412:35</p>		



<p><b>parts</b> [4] - 1365:4, 1369:32, 1375:3, 1375:4</p> <p><b>party</b> [1] - 1411:41</p> <p><b>pass</b> [1] - 1367:32</p> <p><b>passive</b> [1] - 1382:33</p> <p><b>past</b> [1] - 1384:16</p> <p><b>patch</b> [1] - 1388:37</p> <p><b>path</b> [17] - 1386:30, 1398:10, 1398:28, 1398:30, 1398:31, 1399:38, 1400:14, 1400:15, 1401:19, 1401:21, 1401:35, 1402:1, 1402:2, 1403:7, 1405:27, 1405:36</p> <p><b>paths</b> [2] - 1400:1, 1400:9</p> <p><b>patience</b> [1] - 1412:40</p> <p><b>patients</b> [1] - 1406:29</p> <p><b>Paul</b> [42] - 1353:22, 1353:30, 1353:37, 1354:5, 1354:28, 1355:6, 1355:25, 1356:17, 1357:1, 1357:20, 1357:39, 1357:42, 1358:27, 1358:32, 1359:15, 1359:27, 1364:10, 1366:31, 1367:31, 1368:1, 1368:22, 1376:20, 1377:7, 1378:9, 1378:44, 1380:38, 1381:47, 1382:29, 1384:4, 1385:27, 1388:16, 1389:1, 1393:3, 1393:47, 1402:39, 1405:40, 1407:20, 1407:47, 1409:14, 1409:35, 1410:25, 1411:21</p> <p><b>PAUL</b> [165] - 1353:24, 1354:7, 1354:30, 1354:35, 1355:8, 1355:27, 1355:31, 1356:22, 1356:32, 1356:39, 1357:3, 1357:22, 1357:36, 1357:44, 1358:8, 1358:29, 1358:42, 1359:1, 1359:10, 1359:18, 1359:23, 1359:33, 1359:39, 1359:43, 1360:21, 1360:26, 1360:30, 1360:35, 1360:40, 1361:1, 1361:41, 1361:47, 1362:13,</p>	<p>1362:23, 1363:6, 1363:16, 1363:20, 1363:38, 1363:43, 1364:4, 1364:13, 1364:18, 1364:24, 1364:34, 1364:45, 1365:3, 1365:23, 1365:35, 1365:42, 1366:8, 1366:22, 1366:34, 1366:38, 1366:42, 1367:3, 1367:12, 1367:17, 1376:24, 1376:37, 1377:13, 1377:19, 1377:28, 1377:33, 1377:41, 1378:12, 1379:4, 1379:8, 1379:19, 1379:26, 1380:41, 1381:11, 1382:2, 1382:33, 1383:22, 1383:32, 1383:42, 1384:9, 1384:13, 1384:18, 1384:34, 1385:32, 1388:20, 1388:28, 1388:36, 1389:7, 1389:13, 1389:36, 1390:9, 1390:16, 1390:28, 1390:47, 1391:20, 1391:24, 1391:33, 1391:40, 1392:14, 1392:29, 1392:43, 1394:11, 1394:19, 1394:23, 1394:34, 1394:46, 1395:11, 1395:20, 1395:26, 1395:31, 1395:37, 1395:44, 1396:4, 1396:22, 1396:31, 1396:40, 1397:8, 1397:18, 1397:31, 1397:36, 1397:46, 1398:8, 1398:27, 1398:38, 1399:2, 1399:8, 1399:16, 1399:28, 1399:36, 1399:42, 1400:5, 1400:11, 1400:17, 1400:32, 1401:2, 1401:19, 1401:31, 1401:43, 1402:11, 1402:25, 1402:35, 1402:43, 1402:47, 1403:15, 1403:26, 1403:33, 1404:3, 1404:19, 1404:23, 1404:29, 1404:42, 1405:6, 1405:10, 1405:17, 1405:26, 1405:36, 1405:43, 1406:14,</p>	<p>1406:27, 1406:40, 1406:44, 1407:10, 1407:28, 1407:40, 1407:45, 1408:10, 1409:37, 1410:27</p> <p><b>Paul's</b> [7] - 1377:45, 1378:3, 1379:33, 1380:15, 1381:18, 1384:40, 1393:4</p> <p><b>pavement</b> [1] - 1399:3</p> <p><b>penetrate</b> [1] - 1389:42</p> <p><b>penetrations</b> [1] - 1400:46</p> <p><b>Peninsula</b> [1] - 1352:39</p> <p><b>Penny</b> [9] - 1354:13, 1355:16, 1359:45, 1360:14, 1361:30, 1362:1, 1362:2, 1362:24, 1374:5</p> <p><b>people</b> [8] - 1371:38, 1374:5, 1376:4, 1381:6, 1391:4, 1405:15, 1408:32, 1412:33</p> <p><b>perfect</b> [1] - 1406:18</p> <p><b>perfectly</b> [1] - 1408:26</p> <p><b>perhaps</b> [13] - 1353:35, 1357:38, 1359:26, 1362:8, 1364:9, 1364:40, 1368:21, 1368:45, 1372:9, 1375:10, 1377:44, 1383:4, 1411:42</p> <p><b>period</b> [10] - 1356:12, 1356:35, 1362:45, 1376:4, 1379:45, 1383:23, 1383:32, 1383:35, 1383:45, 1397:42</p> <p><b>permanent</b> [1] - 1409:23</p> <p><b>permanently</b> [4] - 1362:37, 1363:4, 1371:44, 1410:18</p> <p><b>permeability</b> [2] - 1397:15, 1401:5</p> <p><b>permeable</b> [2] - 1365:27, 1365:29</p> <p><b>person</b> [1] - 1409:1</p> <p><b>personnel</b> [1] - 1380:45</p> <p><b>perspective</b> [3] - 1379:42, 1385:28, 1390:45</p> <p><b>photos</b> [2] - 1371:47, 1393:32</p> <p><b>physically</b> [1] -</p>	<p>1371:27</p> <p><b>picked</b> [1] - 1403:39</p> <p><b>picking</b> [1] - 1405:1</p> <p><b>pieces</b> [1] - 1374:47</p> <p><b>piers</b> [3] - 1360:36, 1360:41, 1393:13</p> <p><b>piezometers</b> [1] - 1410:17</p> <p><b>pile</b> [7] - 1360:33, 1364:15, 1364:30, 1364:32, 1364:41, 1386:5, 1393:10</p> <p><b>piled</b> [3] - 1360:11, 1366:6, 1389:43</p> <p><b>piles</b> [2] - 1364:20, 1389:45</p> <p><b>pin</b> [3] - 1366:14, 1370:19, 1377:2</p> <p><b>pinned</b> [1] - 1366:14</p> <p><b>pinning</b> [1] - 1372:35</p> <p><b>pipe</b> [29] - 1363:29, 1394:32, 1395:12, 1395:13, 1395:17, 1395:18, 1396:9, 1396:37, 1399:42, 1400:36, 1400:37, 1400:38, 1401:46, 1403:30, 1403:31, 1403:33, 1403:36, 1403:37, 1403:38, 1403:39, 1404:5, 1404:7, 1404:32, 1404:35, 1407:28</p> <p><b>pipes</b> [30] - 1366:44, 1366:46, 1367:4, 1367:5, 1367:9, 1367:10, 1367:15, 1367:17, 1394:2, 1394:5, 1394:37, 1394:42, 1394:47, 1395:5, 1395:11, 1395:22, 1395:26, 1395:34, 1395:35, 1395:41, 1395:47, 1396:7, 1396:20, 1396:25, 1396:35, 1396:40, 1396:45, 1403:29, 1403:44, 1406:5</p> <p><b>pit</b> [3] - 1398:15, 1399:44, 1403:39</p> <p><b>place</b> [13] - 1361:18, 1362:18, 1362:25, 1378:37, 1380:47, 1383:47, 1388:22, 1389:19, 1392:1, 1393:7, 1400:19, 1400:20, 1400:27</p> <p><b>placed</b> [3] - 1361:47, 1364:11, 1386:36</p>	<p><b>places</b> [5] - 1366:1, 1376:7, 1378:34, 1389:37, 1401:10</p> <p><b>plan</b> [8] - 1361:5, 1372:34, 1382:42, 1383:36, 1394:24, 1405:47, 1406:47, 1407:1</p> <p><b>planning</b> [1] - 1374:6</p> <p><b>plans</b> [2] - 1380:33, 1406:2</p> <p><b>plants</b> [2] - 1372:30, 1372:36</p> <p><b>plates</b> [1] - 1385:45</p> <p><b>pleasing</b> [1] - 1386:11</p> <p><b>plonk</b> [1] - 1366:24</p> <p><b>plumber</b> [1] - 1376:3</p> <p><b>plus</b> [2] - 1375:23, 1411:35</p> <p><b>PM</b> [1] - 1412:43</p> <p><b>Point</b> [12] - 1355:16, 1355:17, 1358:23, 1361:3, 1361:29, 1362:32, 1371:33, 1379:24, 1381:33, 1396:9, 1397:41, 1409:15</p> <p><b>point</b> [10] - 1364:24, 1368:39, 1374:38, 1377:7, 1377:15, 1377:42, 1383:11, 1383:15, 1401:16, 1401:45</p> <p><b>points</b> [2] - 1362:33, 1363:46</p> <p><b>POPE</b> [127] - 1353:26, 1354:3, 1354:16, 1354:26, 1354:41, 1354:45, 1355:3, 1355:22, 1355:37, 1355:45, 1356:5, 1356:15, 1356:46, 1357:11, 1357:17, 1357:29, 1357:34, 1358:13, 1358:17, 1358:25, 1367:37, 1367:41, 1367:46, 1368:8, 1368:13, 1368:19, 1368:25, 1368:32, 1368:37, 1368:41, 1369:2, 1369:8, 1369:15, 1369:21, 1369:28, 1370:2, 1370:7, 1370:11, 1370:15, 1370:21, 1370:25, 1370:31, 1370:38, 1370:43, 1371:1, 1371:14, 1371:19, 1371:24, 1371:36,</p>
--	--	--	--	--

<p>1371:41, 1371:46, 1372:7, 1372:13, 1372:17, 1372:22, 1372:28, 1372:38, 1372:44, 1373:9, 1373:14, 1373:18, 1373:22, 1373:31, 1373:41, 1374:11, 1374:15, 1374:23, 1374:27, 1374:35, 1374:40, 1374:47, 1375:14, 1375:35, 1375:40, 1376:15, 1376:44, 1377:4, 1378:1, 1378:7, 1379:36, 1379:41, 1380:6, 1380:13, 1380:18, 1380:23, 1380:30, 1381:21, 1381:35, 1381:40, 1381:44, 1382:9, 1382:17, 1383:7, 1383:13, 1383:17, 1384:44, 1385:6, 1385:12, 1386:5, 1386:14, 1386:27, 1386:35, 1386:41, 1386:46, 1387:4, 1387:9, 1387:16, 1387:22, 1387:29, 1387:34, 1387:39, 1388:4, 1388:9, 1388:14, 1393:10, 1393:22, 1393:30, 1408:28, 1408:37, 1408:43, 1409:6, 1409:17, 1410:7, 1410:44, 1411:2, 1411:8, 1411:12</p> <p><b>Pope</b> [42] - 1353:22, 1353:30, 1353:36, 1353:45, 1354:12, 1354:37, 1355:13, 1355:35, 1355:41, 1356:42, 1357:7, 1358:10, 1358:21, 1365:16, 1366:28, 1367:32, 1367:35, 1375:31, 1376:39, 1377:9, 1377:45, 1378:46, 1379:13, 1379:17, 1379:33, 1381:17, 1382:13, 1382:24, 1382:31, 1383:5, 1384:37, 1386:3, 1386:24, 1392:24, 1393:2, 1408:2, 1408:5, 1408:22, 1409:13, 1410:38, 1411:21</p> <p><b>Pope's</b> [11] - 1377:8,</p>	<p>1377:11, 1377:16, 1377:25, 1378:10, 1378:43, 1379:12, 1385:27, 1389:4, 1392:9</p> <p><b>popped</b> [2] - 1398:20, 1402:12</p> <p><b>popping</b> [2] - 1401:27, 1402:8</p> <p><b>portable</b> [1] - 1371:25</p> <p><b>portion</b> [2] - 1371:10, 1379:10</p> <p><b>posed</b> [1] - 1393:24</p> <p><b>position</b> [2] - 1355:47, 1388:18</p> <p><b>positioned</b> [1] - 1409:47</p> <p><b>positioning</b> [1] - 1376:33</p> <p><b>positive</b> [2] - 1366:46, 1405:3</p> <p><b>possibility</b> [2] - 1366:32, 1397:2</p> <p><b>possible</b> [3] - 1385:42, 1397:6, 1412:27</p> <p><b>possibly</b> [1] - 1410:41</p> <p><b>post</b> [2] - 1381:45, 1382:20</p> <p><b>pot</b> [1] - 1365:4</p> <p><b>potential</b> [3] - 1368:2, 1368:6, 1400:1</p> <p><b>potentially</b> [5] - 1369:28, 1390:36, 1402:8, 1405:36, 1410:32</p> <p><b>power</b> [2] - 1365:16, 1365:17</p> <p><b>practical</b> [3] - 1357:45, 1379:30, 1404:1</p> <p><b>practicalities</b> [1] - 1389:18</p> <p><b>practicality</b> [1] - 1371:22</p> <p><b>practitioner</b> [2] - 1404:39, 1404:42</p> <p><b>pre</b> [8] - 1379:26, 1379:27, 1379:31, 1386:12, 1387:40, 1388:34, 1390:42, 1393:31</p> <p><b>pre-garden</b> [1] - 1387:40</p> <p><b>pre-landslide</b> [4] - 1379:26, 1379:27, 1379:31, 1390:42</p> <p><b>pre-slide</b> [2] - 1386:12, 1388:34</p> <p><b>pre-subdivision</b> [1] -</p>	<p>1393:31</p> <p><b>predesigned</b> [1] - 1363:24</p> <p><b>prefer</b> [2] - 1378:9, 1379:39</p> <p><b>preferable</b> [1] - 1390:43</p> <p><b>preference</b> [2] - 1368:17, 1379:47</p> <p><b>preferred</b> [3] - 1377:16, 1378:31, 1378:40</p> <p><b>prefill</b> [1] - 1366:23</p> <p><b>preliminary</b> [2] - 1353:34, 1377:38</p> <p><b>prepared</b> [2] - 1353:45, 1411:5</p> <p><b>preparing</b> [1] - 1359:8</p> <p><b>prerequisite</b> [1] - 1354:13</p> <p><b>present</b> [2] - 1365:20, 1397:28</p> <p><b>presented</b> [1] - 1353:37</p> <p><b>preserved</b> [1] - 1388:37</p> <p><b>pressures</b> [2] - 1363:22, 1363:23</p> <p><b>presumably</b> [1] - 1395:46</p> <p><b>pretty</b> [5] - 1376:6, 1376:10, 1387:44, 1387:45, 1401:4</p> <p><b>prevent</b> [3] - 1356:29, 1361:35, 1400:30</p> <p><b>prevention</b> [1] - 1396:42</p> <p><b>previous</b> [2] - 1373:38, 1391:1</p> <p><b>previously</b> [2] - 1358:34, 1360:18</p> <p><b>price</b> [2] - 1384:7, 1385:17</p> <p><b>priced</b> [2] - 1385:12, 1392:34</p> <p><b>pricing</b> [1] - 1384:25</p> <p><b>primarily</b> [3] - 1399:32, 1400:7, 1404:38</p> <p><b>primary</b> [3] - 1354:38, 1354:43, 1368:46</p> <p><b>principally</b> [1] - 1379:41</p> <p><b>principles</b> [1] - 1375:2</p> <p><b>prioritise</b> [2] - 1398:40, 1406:15</p> <p><b>prioritising</b> [1] - 1396:42</p> <p><b>priority</b> [1] - 1385:37</p> <p><b>prism</b> [1] - 1404:38</p>	<p><b>private</b> [10] - 1358:29, 1376:13, 1376:15, 1378:16, 1378:18, 1382:39, 1382:40, 1390:20, 1402:21, 1402:25</p> <p><b>pro</b> [1] - 1381:19</p> <p><b>problem</b> [1] - 1394:37</p> <p><b>problematic</b> [2] - 1398:45, 1400:44</p> <p><b>problems</b> [1] - 1395:6</p> <p><b>proceed</b> [1] - 1383:8</p> <p><b>proceeded</b> [1] - 1358:21</p> <p><b>process</b> [6] - 1357:14, 1382:47, 1384:1, 1384:27, 1406:6, 1406:8</p> <p><b>processes</b> [1] - 1381:6</p> <p><b>procurement</b> [2] - 1383:24, 1383:45</p> <p><b>produced</b> [1] - 1411:32</p> <p><b>product</b> [1] - 1401:3</p> <p><b>professional</b> [1] - 1392:37</p> <p><b>progressively</b> [1] - 1371:3</p> <p><b>prohibitive</b> [1] - 1404:10</p> <p><b>project</b> [1] - 1405:19</p> <p><b>promote</b> [1] - 1365:24</p> <p><b>proper</b> [3] - 1377:33, 1392:15, 1400:25</p> <p><b>properly</b> [5] - 1370:17, 1375:10, 1377:2, 1377:17, 1392:15</p> <p><b>properties</b> [2] - 1376:15, 1390:21</p> <p><b>property</b> [11] - 1356:30, 1358:30, 1374:16, 1378:16, 1378:18, 1378:21, 1382:39, 1382:40, 1390:20, 1410:15, 1411:6</p> <p><b>proposal</b> [13] - 1369:18, 1377:9, 1377:11, 1377:16, 1377:25, 1377:46, 1378:3, 1378:10, 1379:15, 1379:39, 1385:27, 1403:12</p> <p><b>propose</b> [7] - 1353:38, 1354:14, 1369:25, 1370:33, 1372:19, 1408:8, 1408:24</p> <p><b>proposed</b> [11] - 1355:39, 1368:16,</p>	<p>1369:11, 1373:6, 1373:11, 1378:47, 1379:11, 1380:20, 1381:37, 1382:25, 1383:1</p> <p><b>proposing</b> [5] - 1369:34, 1379:43, 1385:32, 1391:37, 1398:27</p> <p><b>protected</b> [1] - 1379:44</p> <p><b>protecting</b> [2] - 1354:20, 1361:29</p> <p><b>protection</b> [3] - 1356:23, 1363:36, 1378:20</p> <p><b>protocols</b> [1] - 1380:47</p> <p><b>proud</b> [1] - 1379:27</p> <p><b>provide</b> [10] - 1357:3, 1362:34, 1364:1, 1370:28, 1403:9, 1404:33, 1404:45, 1409:39, 1411:23, 1412:39</p> <p><b>provided</b> [1] - 1403:7</p> <p><b>providing</b> [2] - 1360:42, 1379:21</p> <p><b>provision</b> [3] - 1356:39, 1365:11, 1365:18</p> <p><b>proximity</b> [2] - 1371:15, 1372:47</p> <p><b>prudent</b> [4] - 1376:28, 1394:2, 1396:34, 1406:12</p> <p><b>prune</b> [1] - 1376:8</p> <p><b>public</b> [3] - 1362:1, 1362:32, 1394:36</p> <p><b>publication</b> [1] - 1412:34</p> <p><b>publish</b> [1] - 1412:1</p> <p><b>published</b> [1] - 1412:41</p> <p><b>pull</b> [3] - 1382:13, 1396:6, 1409:30</p> <p><b>pump</b> [11] - 1356:40, 1362:43, 1363:2, 1363:11, 1409:41, 1410:21, 1410:28, 1410:30, 1410:35</p> <p><b>pumps</b> [8] - 1358:40, 1362:37, 1362:43, 1363:4, 1363:7, 1363:46, 1410:20</p> <p><b>purpose</b> [2] - 1361:32, 1400:35</p> <p><b>pursue</b> [1] - 1377:35</p> <p><b>put</b> [47] - 1353:35, 1358:2, 1361:2,</p>
--	--	---	---	---

<p>1362:1, 1362:5, 1362:16, 1362:42, 1363:9, 1363:47, 1365:5, 1366:3, 1366:29, 1367:22, 1367:28, 1368:42, 1371:1, 1371:3, 1371:4, 1376:37, 1377:23, 1378:30, 1378:36, 1378:40, 1383:18, 1383:47, 1389:25, 1389:41, 1389:43, 1389:45, 1390:33, 1391:31, 1392:10, 1393:6, 1394:38, 1399:17, 1400:43, 1407:30, 1408:13, 1409:15, 1409:23, 1409:32, 1409:38, 1410:4, 1410:8, 1410:14, 1410:31, 1410:34 <b>putting</b> [8] - 1368:4, 1382:38, 1391:3, 1391:7, 1392:20, 1402:14, 1403:31, 1409:37 <b>PVC</b> [1] - 1395:18</p>	<p>1356:36, 1363:26, 1397:9, 1401:34 <b>rainfall</b> [9] - 1356:1, 1356:20, 1356:26, 1361:32, 1363:14, 1363:25, 1363:28, 1363:31, 1365:28 <b>rainfall-induced</b> [2] - 1361:32, 1363:25 <b>raise</b> [3] - 1397:2, 1400:29, 1405:8 <b>raised</b> [4] - 1357:39, 1386:39, 1386:44, 1388:11 <b>raising</b> [3] - 1362:39, 1366:47, 1367:3 <b>ramp</b> [3] - 1362:17, 1362:23, 1362:25 <b>range</b> [2] - 1377:11, 1395:40 <b>rare</b> [1] - 1378:31 <b>rate</b> [5] - 1367:5, 1385:14, 1394:5, 1394:30, 1394:34 <b>rates</b> [1] - 1385:12 <b>rather</b> [15] - 1358:18, 1360:23, 1373:41, 1373:43, 1377:20, 1380:10, 1382:20, 1389:10, 1390:44, 1393:26, 1393:27, 1400:8, 1404:39, 1408:40, 1410:11 <b>reached</b> [2] - 1405:3, 1407:1 <b>read</b> [4] - 1358:37, 1379:33, 1403:16, 1405:40 <b>realistically</b> [2] - 1375:41, 1383:28 <b>reality</b> [1] - 1406:15 <b>really</b> [19] - 1355:32, 1361:21, 1373:3, 1380:27, 1387:42, 1389:30, 1390:19, 1390:28, 1390:37, 1392:31, 1392:33, 1392:35, 1396:10, 1396:37, 1397:47, 1403:47, 1409:43 <b>reason</b> [4] - 1394:8, 1394:17, 1394:21, 1409:39 <b>reasonable</b> [1] - 1395:14 <b>reasonably</b> [2] - 1360:8, 1361:25 <b>reasoning</b> [2] - 1395:46, 1405:31 <b>reasons</b> [12] -</p>	<p>1366:17, 1373:1, 1390:13, 1390:40, 1394:42, 1394:43, 1394:46, 1395:5, 1395:12, 1395:26, 1403:34, 1408:11 <b>rebuilding</b> [1] - 1374:5 <b>recent</b> [3] - 1359:8, 1359:13, 1404:30 <b>recommend</b> [1] - 1372:24 <b>recommendation</b> [1] - 1395:29 <b>recommended</b> [2] - 1364:16, 1366:17 <b>records</b> [3] - 1394:11, 1394:12, 1394:13 <b>redirected</b> [1] - 1401:36 <b>redoing</b> [1] - 1367:21 <b>reduce</b> [6] - 1355:10, 1355:32, 1394:2, 1396:6, 1396:14, 1407:11 <b>reducing</b> [1] - 1396:5 <b>reduction</b> [1] - 1377:21 <b>redundancy</b> [1] - 1369:42 <b>refer</b> [2] - 1397:1, 1403:29 <b>reference</b> [3] - 1382:12, 1388:17, 1394:4 <b>referring</b> [1] - 1398:35 <b>regard</b> [2] - 1406:23, 1411:30 <b>regressing</b> [1] - 1390:35 <b>reinforce</b> [2] - 1391:5, 1391:6 <b>reinforced</b> [4] - 1360:32, 1371:7, 1375:6, 1381:44 <b>reinforcement</b> [1] - 1371:12 <b>reinstated</b> [8] - 1358:19, 1359:45, 1359:46, 1368:4, 1368:13, 1373:36, 1379:31, 1391:14 <b>reinstated</b> [1] - 1361:4 <b>reinstatement</b> [9] - 1384:44, 1385:3, 1389:5, 1389:10, 1389:31, 1390:7, 1391:10, 1391:30, 1393:26 <b>reinstating</b> [2] - 1358:38, 1358:46</p>	<p><b>relation</b> [4] - 1382:30, 1392:25, 1393:3, 1393:25 <b>relatively</b> [3] - 1355:4, 1361:39, 1367:4 <b>relevant</b> [7] - 1374:44, 1397:47, 1403:24, 1403:27, 1404:45, 1405:18, 1412:35 <b>remain</b> [3] - 1381:38, 1382:15, 1400:44 <b>remains</b> [1] - 1411:28 <b>remediate</b> [1] - 1389:25 <b>remediating</b> [1] - 1374:17 <b>remediation</b> [19] - 1354:8, 1357:41, 1357:44, 1358:2, 1358:11, 1358:33, 1359:4, 1359:16, 1368:11, 1368:42, 1389:19, 1389:21, 1389:22, 1389:23, 1393:26, 1408:4, 1408:7, 1408:24, 1411:31 <b>remember</b> [2] - 1387:47, 1401:31 <b>remind</b> [1] - 1405:44 <b>reminds</b> [1] - 1381:31 <b>remove</b> [4] - 1356:39, 1360:12, 1361:17, 1377:24 <b>removed</b> [5] - 1359:44, 1361:10, 1362:26, 1362:35, 1386:47 <b>removing</b> [2] - 1382:18, 1408:18 <b>renewal</b> [1] - 1406:20 <b>Renée</b> [1] - 1352:11 <b>repairs</b> [1] - 1397:4 <b>replace</b> [4] - 1367:27, 1395:34, 1396:27, 1396:45 <b>replaced</b> [4] - 1366:47, 1395:41, 1396:2, 1396:20 <b>replacement</b> [3] - 1360:17, 1394:37, 1396:13 <b>replacing</b> [3] - 1360:23, 1360:24, 1361:10 <b>report</b> [44] - 1353:37, 1353:45, 1353:46, 1357:7, 1357:8, 1357:15, 1358:11, 1358:33, 1358:35,</p>	<p>1358:37, 1359:8, 1359:13, 1359:14, 1359:16, 1359:20, 1365:38, 1366:30, 1366:31, 1367:33, 1367:39, 1368:11, 1368:23, 1369:6, 1370:34, 1372:1, 1374:2, 1378:43, 1379:34, 1381:26, 1382:12, 1382:24, 1386:24, 1389:3, 1394:1, 1394:4, 1396:34, 1397:1, 1398:35, 1403:30, 1409:18, 1411:31, 1412:20, 1412:34, 1412:40 <b>reported</b> [1] - 1398:5 <b>reports</b> [7] - 1353:39, 1357:40, 1369:11, 1408:3, 1411:29, 1411:34, 1411:35 <b>require</b> [2] - 1358:22, 1405:14 <b>required</b> [6] - 1363:11, 1375:37, 1376:22, 1377:2, 1379:15, 1389:43 <b>requirement</b> [4] - 1358:1, 1374:25, 1382:39, 1390:17 <b>requirements</b> [3] - 1374:41, 1378:14, 1390:32 <b>requires</b> [1] - 1382:46 <b>reserve</b> [3] - 1361:30, 1361:47, 1376:37 <b>residential</b> [3] - 1385:26, 1390:9, 1410:14 <b>residents</b> [7] - 1398:46, 1412:24, 1412:26, 1412:29, 1412:30, 1412:36, 1412:38 <b>resistance</b> [4] - 1398:10, 1401:20, 1401:21, 1405:27 <b>resistant</b> [1] - 1378:26 <b>resisted</b> [1] - 1356:2 <b>respect</b> [10] - 1353:33, 1369:23, 1369:24, 1373:41, 1373:43, 1378:4, 1378:35, 1379:15, 1384:40, 1393:27 <b>respond</b> [2] - 1375:17, 1409:35 <b>responding</b> [1] -</p>
<b>Q</b>				
<p><b>QA</b> [1] - 1392:15 <b>qualified</b> [2] - 1404:13, 1409:1 <b>qualify</b> [1] - 1397:31 <b>quarried</b> [1] - 1361:24 <b>quarry</b> [2] - 1385:39, 1391:42 <b>questions</b> [18] - 1353:35, 1359:29, 1369:11, 1374:13, 1380:39, 1381:9, 1382:45, 1388:40, 1388:42, 1389:1, 1390:41, 1391:16, 1393:40, 1393:47, 1407:15, 1407:19, 1409:11, 1411:17 <b>quick</b> [1] - 1407:12 <b>quickly</b> [1] - 1412:36 <b>quite</b> [8] - 1369:30, 1370:34, 1379:13, 1383:19, 1384:24, 1397:19, 1401:26, 1409:28 <b>quotes</b> [1] - 1384:31</p>				
<b>R</b>				
<p><b>rain</b> [5] - 1356:10,</p>				

<p>1358:18  <b>responds</b> [1] - 1369:30  <b>response</b> [1] - 1380:33  <b>responsibility</b> [2] - 1376:11, 1409:46  <b>rest</b> [2] - 1391:25, 1392:18  <b>restore</b> [1] - 1390:44  <b>restoring</b> [1] - 1373:38  <b>restrict</b> [1] - 1397:14  <b>result</b> [1] - 1406:35  <b>resworn</b> [1] - 1353:22  <b>retaining</b> [9] - 1369:12, 1375:1, 1375:2, 1375:3, 1381:32, 1388:21, 1388:25, 1388:28, 1393:18  <b>retards</b> [1] - 1372:29  <b>retension</b> [1] - 1375:45  <b>retrofit</b> [1] - 1367:26  <b>return</b> [5] - 1357:44, 1358:1, 1374:5, 1375:46, 1390:10  <b>returned</b> [1] - 1393:30  <b>revised</b> [1] - 1405:47  <b>RICHARD</b> [1] - 1353:26  <b>rid</b> [2] - 1354:18, 1408:18  <b>rig</b> [2] - 1371:26, 1373:24  <b>right-hand</b> [1] - 1387:26  <b>rigid</b> [1] - 1366:11  <b>rigs</b> [1] - 1371:25  <b>risk</b> [48] - 1354:38, 1355:10, 1355:27, 1355:32, 1355:42, 1356:29, 1360:10, 1361:20, 1365:20, 1374:7, 1374:8, 1377:19, 1377:21, 1377:28, 1377:33, 1378:4, 1378:15, 1386:10, 1390:21, 1390:42, 1391:30, 1392:8, 1393:5, 1393:20, 1393:22, 1396:5, 1396:6, 1396:14, 1401:24, 1401:29, 1406:2, 1406:4, 1406:7, 1406:9, 1406:10, 1406:11, 1406:17, 1406:29, 1406:30, 1406:33, 1407:7,</p>	<p>1407:11, 1408:14, 1408:19, 1409:2  <b>risks</b> [6] - 1355:8, 1377:26, 1380:26, 1391:14, 1392:24, 1392:26  <b>risky</b> [1] - 1392:40  <b>road</b> [11] - 1360:6, 1360:7, 1361:30, 1361:47, 1376:37, 1389:24, 1389:25, 1389:26, 1391:44, 1391:46, 1397:22  <b>Road</b> [13] - 1355:16, 1355:17, 1358:23, 1361:3, 1361:30, 1362:32, 1371:33, 1379:24, 1381:33, 1396:9, 1397:42, 1402:12, 1409:15  <b>roads</b> [3] - 1372:5, 1398:47, 1399:6  <b>roadside</b> [2] - 1376:10, 1385:25  <b>rock</b> [67] - 1358:38, 1359:2, 1359:3, 1359:43, 1360:1, 1360:2, 1360:5, 1360:8, 1360:9, 1360:14, 1360:17, 1360:24, 1360:43, 1361:1, 1361:11, 1361:13, 1361:16, 1361:18, 1361:19, 1361:26, 1362:18, 1362:25, 1362:26, 1364:11, 1364:32, 1364:41, 1365:4, 1365:5, 1365:6, 1365:8, 1365:24, 1365:26, 1365:27, 1365:29, 1368:3, 1376:24, 1379:19, 1379:20, 1381:23, 1381:24, 1381:29, 1384:22, 1386:1, 1388:20, 1388:31, 1390:47, 1391:4, 1391:24, 1391:31, 1391:40, 1391:41, 1391:42, 1391:44, 1391:47, 1392:4, 1392:11, 1392:14, 1392:17, 1392:20, 1393:6, 1393:12, 1393:15, 1408:10  <b>rock's</b> [1] - 1379:27  <b>rockfall</b> [1] - 1362:4  <b>rocks</b> [5] - 1360:10, 1360:28, 1361:39,</p>	<p>1362:16, 1386:6  <b>roll</b> [3] - 1354:19, 1379:43  <b>rolled</b> [1] - 1379:44  <b>room</b> [1] - 1366:3  <b>root</b> [1] - 1395:7  <b>rope</b> [1] - 1382:40  <b>ropes</b> [1] - 1371:39  <b>rose</b> [1] - 1363:23  <b>ROSS</b> [1] - 1353:24  <b>roughly</b> [1] - 1385:13  <b>route</b> [1] - 1402:36  <b>row</b> [2] - 1371:3, 1371:4  <b>rows</b> [2] - 1371:2, 1371:5  <b>rule</b> [2] - 1385:9, 1391:17  <b>run</b> [8] - 1362:2, 1366:13, 1399:12, 1399:13, 1409:21, 1409:22, 1409:23, 1412:13  <b>rust</b> [1] - 1410:34  <b>rusting</b> [1] - 1363:8</p>	<p>1367:33, 1378:43, 1394:4  <b>sea</b> [1] - 1402:22  <b>seat</b> [1] - 1411:24  <b>second</b> [2] - 1403:37, 1410:46  <b>section</b> [3] - 1361:8, 1378:29, 1404:8  <b>sections</b> [1] - 1361:7  <b>see</b> [27] - 1353:6, 1356:28, 1361:10, 1361:28, 1361:45, 1362:44, 1370:17, 1371:43, 1372:5, 1372:34, 1377:37, 1380:2, 1380:8, 1382:13, 1382:24, 1384:30, 1386:14, 1386:24, 1386:38, 1387:13, 1387:34, 1388:16, 1393:20, 1397:23, 1409:24, 1412:30, 1412:35  <b>seek</b> [2] - 1361:1, 1373:36  <b>seeks</b> [1] - 1368:11  <b>seem</b> [2] - 1373:45, 1384:15  <b>seep</b> [2] - 1360:4  <b>seeping</b> [1] - 1365:28  <b>select</b> [1] - 1391:47  <b>selected</b> [2] - 1357:23, 1392:3  <b>selecting</b> [1] - 1357:5  <b>selection</b> [1] - 1391:40  <b>sell</b> [1] - 1391:42  <b>semi</b> [2] - 1409:23, 1410:18  <b>semi-permanent</b> [1] - 1409:23  <b>semi-permanently</b> [1] - 1410:18  <b>sense</b> [2] - 1406:18, 1410:47  <b>sensible</b> [3] - 1373:46, 1406:27, 1406:45  <b>sensibly</b> [1] - 1369:35  <b>sensors</b> [2] - 1380:32, 1406:36  <b>separated</b> [1] - 1402:16  <b>September</b> [1] - 1412:21  <b>sequence</b> [2] - 1354:23, 1376:20  <b>series</b> [3] - 1362:33, 1369:37, 1375:41  <b>service</b> [6] - 1400:2, 1400:8, 1400:11,</p>	<p>1403:35, 1404:40, 1404:43  <b>services</b> [4] - 1366:32, 1402:40, 1403:41, 1409:20  <b>set</b> [7] - 1368:45, 1371:26, 1371:27, 1371:28, 1372:39, 1375:16, 1380:33  <b>set-up</b> [1] - 1372:39  <b>sets</b> [2] - 1391:43, 1394:17  <b>setting</b> [1] - 1394:8  <b>settings</b> [1] - 1410:14  <b>settle</b> [1] - 1364:41  <b>sewer</b> [15] - 1367:10, 1367:15, 1367:17, 1396:35, 1398:13, 1399:32, 1399:39, 1401:32, 1403:7, 1403:46, 1404:25, 1406:11, 1406:21, 1407:29  <b>Sewerage</b> [1] - 1402:41  <b>sewers</b> [7] - 1367:27, 1398:28, 1398:32, 1398:36, 1398:40, 1398:43, 1403:4  <b>shall</b> [1] - 1403:7  <b>shallow</b> [3] - 1362:34, 1364:25, 1397:28  <b>sheer</b> [1] - 1387:20  <b>Shire</b> [1] - 1352:39  <b>shoring</b> [1] - 1360:43  <b>short</b> [1] - 1407:20  <b>shot</b> [1] - 1371:5  <b>shotcrete</b> [19] - 1358:38, 1368:3, 1369:34, 1370:33, 1370:34, 1370:45, 1371:4, 1371:6, 1371:10, 1371:47, 1378:47, 1379:11, 1379:15, 1379:16, 1385:47, 1387:24, 1387:26  <b>showing</b> [3] - 1362:15, 1362:19, 1362:23  <b>shows</b> [4] - 1361:8, 1362:30, 1394:24, 1412:31  <b>showstoppers</b> [2] - 1377:41, 1377:42  <b>shrubs</b> [2] - 1372:32, 1372:38  <b>side</b> [7] - 1372:5, 1376:10, 1379:11, 1387:6, 1387:23,</p>
<b>S</b>				
<p><b>safe</b> [4] - 1355:19, 1355:31, 1392:32, 1408:39  <b>safely</b> [3] - 1361:20, 1381:5, 1381:15  <b>safer</b> [1] - 1373:38  <b>safety</b> [11] - 1374:23, 1374:29, 1374:30, 1379:42, 1380:4, 1380:8, 1380:31, 1380:39, 1380:46, 1381:1, 1389:41  <b>sake</b> [1] - 1408:46  <b>satisfactory</b> [1] - 1374:6  <b>satisfied</b> [1] - 1408:39  <b>saturated</b> [2] - 1375:15, 1375:18  <b>saturation</b> [1] - 1356:6  <b>saturation</b> [1] - 1375:24  <b>save</b> [1] - 1409:10  <b>saw</b> [3] - 1394:3, 1396:23, 1397:20  <b>SC</b> [1] - 1352:38  <b>scenario</b> [1] - 1402:7  <b>scene</b> [1] - 1368:45  <b>schedule</b> [1] - 1383:22  <b>screen</b> [8] - 1359:15, 1359:31, 1366:29, 1366:36, 1366:40,</p>				

<p>1387:26, 1402:13  <b>sides</b> [1] - 1401:15  <b>Siemensma</b> [2] -  1352:41, 1407:20  <b>SIEMENSMA</b> [64] -  1353:17, 1393:45,  1393:47, 1394:16,  1394:21, 1394:29,  1394:42, 1395:4,  1395:17, 1395:22,  1395:28, 1395:33,  1395:39, 1395:46,  1396:16, 1396:29,  1396:33, 1396:47,  1397:13, 1397:26,  1397:33, 1397:40,  1398:3, 1398:23,  1398:34, 1398:43,  1399:6, 1399:10,  1399:24, 1399:31,  1399:38, 1399:47,  1400:7, 1400:13,  1400:29, 1400:41,  1401:12, 1401:23,  1401:39, 1402:5,  1402:19, 1402:31,  1402:39, 1402:45,  1403:2, 1403:23,  1403:29, 1403:43,  1404:13, 1404:21,  1404:25, 1404:38,  1405:1, 1405:8,  1405:13, 1405:22,  1405:31, 1405:40,  1405:46, 1406:20,  1406:32, 1406:42,  1407:4, 1407:15  <b>significant</b> [7] -  1380:3, 1380:27,  1384:45, 1385:24,  1408:2, 1412:24,  1412:25  <b>significantly</b> [2] -  1355:43, 1385:18  <b>silly</b> [1] - 1376:7  <b>similar</b> [12] - 1359:3,  1361:33, 1363:32,  1363:45, 1369:29,  1372:22, 1383:26,  1387:45, 1388:18,  1389:45, 1393:33  <b>simple</b> [1] - 1360:1  <b>simpler</b> [1] - 1396:44  <b>simply</b> [1] - 1359:43  <b>simulations</b> [1] -  1366:13  <b>single</b> [1] - 1356:43  <b>sit</b> [5] - 1355:4,  1363:7, 1379:45,  1404:32, 1408:7</p>	<p><b>site</b> [12] - 1354:12,  1355:18, 1356:11,  1359:28, 1371:24,  1381:13, 1383:38,  1383:39, 1384:2,  1389:42, 1390:6,  1392:32  <b>sites</b> [1] - 1406:17  <b>sits</b> [1] - 1366:5  <b>situation</b> [1] - 1401:25  <b>situations</b> [1] -  1385:35  <b>six</b> [2] - 1364:27,  1383:47  <b>sleeve</b> [1] - 1403:31  <b>slide</b> [4] - 1356:25,  1364:32, 1386:12,  1388:34  <b>sliding</b> [1] - 1392:4  <b>slightly</b> [1] - 1379:27  <b>slope</b> [42] - 1355:15,  1355:16, 1356:19,  1356:25, 1358:39,  1360:19, 1363:27,  1364:37, 1365:33,  1367:20, 1368:4,  1370:29, 1370:35,  1371:3, 1371:4,  1371:11, 1371:39,  1372:20, 1373:20,  1373:37, 1374:45,  1375:19, 1377:17,  1377:20, 1378:5,  1378:23, 1379:12,  1379:21, 1381:25,  1382:34, 1386:11,  1387:6, 1387:23,  1387:43, 1387:44,  1387:45, 1388:33,  1389:40, 1390:30,  1391:7  <b>slopes</b> [2] - 1355:3,  1355:4  <b>slow</b> [3] - 1397:15,  1397:18, 1397:19  <b>small</b> [1] - 1372:38  <b>Smith</b> [3] - 1405:41,  1405:46, 1406:25  <b>smoothly</b> [1] -  1412:13  <b>soggy</b> [1] - 1398:47  <b>soil</b> [41] - 1358:37,  1359:1, 1359:44,  1359:47, 1360:18,  1360:23, 1368:3,  1368:46, 1369:19,  1369:25, 1370:18,  1370:27, 1371:17,  1371:43, 1372:4,  1372:15, 1372:35,</p>	<p>1372:41, 1373:29,  1376:19, 1376:40,  1376:41, 1376:42,  1376:47, 1377:1,  1379:14, 1379:16,  1380:9, 1385:9,  1385:16, 1385:44,  1387:41, 1389:37,  1389:41, 1389:45,  1390:4, 1390:30,  1391:1, 1395:7,  1398:47  <b>soils</b> [5] - 1355:4,  1356:6, 1375:15,  1381:28, 1393:36  <b>solicitors</b> [3] -  1411:41, 1412:11,  1412:16  <b>solution</b> [31] -  1353:33, 1354:37,  1355:41, 1356:12,  1356:18, 1357:14,  1359:4, 1360:5,  1360:14, 1361:4,  1366:29, 1368:46,  1369:19, 1379:12,  1379:23, 1379:34,  1380:4, 1380:9,  1381:9, 1385:32,  1386:10, 1390:29,  1390:37, 1392:21,  1392:29, 1401:2,  1404:1, 1408:6,  1408:23, 1408:41,  1409:4  <b>solutions</b> [7] -  1355:39, 1368:2,  1368:6, 1368:17,  1369:11, 1385:25,  1408:29  <b>solved</b> [2] - 1410:41,  1411:5  <b>someone</b> [3] -  1382:41, 1388:17,  1392:31  <b>sometimes</b> [3] -  1372:5, 1395:22,  1403:18  <b>somewhere</b> [7] -  1397:20, 1399:19,  1400:23, 1400:24,  1402:3, 1402:37,  1403:34  <b>soon</b> [4] - 1355:40,  1390:28, 1412:27,  1412:40  <b>sorry</b> [2] - 1370:11,  1370:38  <b>sort</b> [27] - 1358:1,  1360:42, 1361:4,</p>	<p>1361:8, 1361:25,  1362:5, 1364:36,  1365:1, 1365:9,  1365:17, 1365:28,  1365:44, 1372:39,  1374:47, 1375:42,  1376:1, 1376:4,  1378:38, 1383:1,  1386:15, 1392:32,  1397:22, 1401:43,  1401:44, 1402:12,  1410:22, 1410:39  <b>sorts</b> [1] - 1395:11  <b>sought</b> [2] - 1358:5,  1358:8  <b>sound</b> [1] - 1364:31  <b>sounds</b> [1] - 1375:19  <b>source</b> [7] - 1397:47,  1401:28, 1401:33,  1401:41, 1401:43,  1401:47, 1402:9  <b>South</b> [9] - 1352:41,  1353:17, 1395:4,  1396:19, 1396:24,  1405:41, 1405:47,  1406:4, 1407:6  <b>south</b> [1] - 1386:41  <b>spaced</b> [3] - 1369:37,  1369:44, 1371:17  <b>spacing</b> [7] - 1369:42,  1369:46, 1375:17,  1375:22, 1375:25,  1409:26, 1409:30  <b>speaking</b> [1] -  1374:20  <b>speaks</b> [1] - 1378:12  <b>spear</b> [1] - 1363:46  <b>specific</b> [1] - 1359:29  <b>specifically</b> [2] -  1398:27, 1406:9  <b>specification</b> [2] -  1391:43  <b>specifics</b> [1] - 1402:28  <b>spoken</b> [2] - 1400:1,  1410:42  <b>spots</b> [2] - 1365:5,  1365:6  <b>sprayed</b> [1] - 1371:1  <b>springs</b> [1] - 1397:28  <b>square</b> [3] - 1385:13,  1385:15, 1385:16  <b>stabilisation</b> [1] -  1374:45  <b>stabilise</b> [2] - 1377:17,  1377:20  <b>stabilising</b> [1] -  1372:20  <b>stability</b> [1] - 1370:28  <b>stable</b> [2] - 1373:42,  1391:47</p>	<p><b>staff</b> [1] - 1412:17  <b>stage</b> [1] - 1376:21  <b>stages</b> [1] - 1357:24  <b>stainless</b> [1] - 1373:2  <b>stakeholders</b> [2] -  1405:18, 1405:19  <b>standard</b> [3] - 1375:1,  1375:4, 1403:3  <b>standards</b> [2] -  1403:11, 1403:27  <b>Standards</b> [2] -  1374:43, 1374:44  <b>standing</b> [2] -  1387:12, 1387:18  <b>start</b> [9] - 1353:36,  1354:16, 1357:14,  1359:39, 1368:34,  1368:37, 1383:4,  1393:4, 1408:17  <b>started</b> [1] - 1382:19  <b>starting</b> [2] - 1368:39,  1377:15  <b>starts</b> [2] - 1359:36,  1368:29  <b>State</b> [3] - 1352:36,  1374:15, 1374:16  <b>statement</b> [3] -  1394:23, 1395:14,  1405:41  <b>statements</b> [1] -  1411:33  <b>stating</b> [1] - 1394:34  <b>stay</b> [1] - 1402:22  <b>stays</b> [3] - 1365:45,  1388:7, 1400:38  <b>steel</b> [5] - 1372:46,  1373:2, 1373:3,  1381:45, 1382:20  <b>steep</b> [2] - 1355:3,  1389:40  <b>steeper</b> [1] - 1387:24  <b>Stefano</b> [3] - 1352:32,  1353:4, 1412:8  <b>stepping</b> [1] - 1364:37  <b>still</b> [10] - 1356:7,  1356:22, 1356:26,  1377:29, 1385:46,  1386:5, 1388:36,  1388:37, 1391:26,  1409:22  <b>stone</b> [3] - 1382:19,  1385:38, 1385:40  <b>stonewall</b> [1] -  1382:17  <b>stop</b> [12] - 1367:22,  1367:24, 1372:31,  1381:25, 1381:28,  1382:26, 1397:43,  1398:23, 1400:7,  1403:7, 1407:30,</p>
--	--	--	---	--

1407:31 <b>stopped</b> [1] - 1386:31 <b>stoppers</b> [4] - 1397:1, 1397:2, 1397:6, 1397:13 <b>stopping</b> [2] - 1356:23, 1390:35 <b>stops</b> [6] - 1367:28, 1397:33, 1398:35, 1399:16, 1401:20, 1403:12 <b>stormwater</b> [9] - 1399:21, 1399:33, 1399:39, 1399:44, 1399:45, 1405:23, 1405:32, 1409:20, 1410:21 <b>straight</b> [3] - 1360:38, 1365:30, 1391:8 <b>straightaway</b> [1] - 1363:1 <b>Street</b> [1] - 1352:18 <b>strength</b> [2] - 1360:3, 1391:2 <b>stress</b> [2] - 1412:25 <b>strike</b> [1] - 1384:40 <b>stringent</b> [1] - 1374:29 <b>stronger</b> [2] - 1364:34, 1393:16 <b>structural</b> [2] - 1376:25, 1390:30 <b>structurally</b> [1] - 1364:31 <b>structure</b> [4] - 1377:10, 1390:32, 1390:38, 1408:15 <b>struggle</b> [1] - 1366:3 <b>stuff</b> [3] - 1375:6, 1386:15, 1396:27 <b>subdivision</b> [1] - 1393:31 <b>subject</b> [2] - 1382:7, 1395:17 <b>submersible</b> [1] - 1363:10 <b>submitted</b> [1] - 1394:13 <b>subsequently</b> [1] - 1411:36 <b>subsurface</b> [1] - 1363:30 <b>suburb</b> [1] - 1385:26 <b>suction</b> [1] - 1365:16 <b>sufficient</b> [4] - 1366:18, 1379:14, 1403:9, 1408:25 <b>sufficiently</b> [4] - 1379:23, 1386:10, 1386:22, 1409:1 <b>suggest</b> [13] -	1391:44, 1397:13, 1398:3, 1398:23, 1399:38, 1400:13, 1400:43, 1402:6, 1402:20, 1403:43, 1404:1, 1405:32, 1406:20 <b>suggested</b> [1] - 1382:30 <b>suggesting</b> [6] - 1384:46, 1395:28, 1396:17, 1397:5, 1399:42, 1410:27 <b>suitable</b> [1] - 1358:45 <b>suited</b> [1] - 1389:33 <b>summarising</b> [1] - 1391:16 <b>super</b> [1] - 1373:33 <b>support</b> [3] - 1360:10, 1379:21, 1412:38 <b>suppose</b> [4] - 1365:5, 1378:33, 1385:44, 1403:21 <b>supposed</b> [1] - 1372:28 <b>surface</b> [23] - 1356:6, 1363:26, 1363:32, 1379:26, 1379:27, 1379:31, 1397:4, 1397:44, 1398:4, 1398:9, 1398:17, 1398:19, 1398:25, 1398:45, 1399:2, 1399:19, 1399:22, 1399:43, 1401:21, 1407:21, 1407:25, 1407:31, 1407:43 <b>surfaces</b> [2] - 1399:10, 1399:12 <b>surficial</b> [1] - 1375:15 <b>surplus</b> [1] - 1363:47 <b>surprise</b> [1] - 1384:46 <b>surrounding</b> [1] - 1403:9 <b>surveys</b> [1] - 1361:9 <b>susceptibility</b> [2] - 1359:47, 1396:1 <b>susceptible</b> [2] - 1390:42, 1405:33 <b>sustained</b> [3] - 1356:34, 1356:40, 1409:40 <b>system</b> [17] - 1369:29, 1375:42, 1375:46, 1378:19, 1378:31, 1379:42, 1379:44, 1381:1, 1387:42, 1399:21, 1399:44, 1408:13, 1409:21, 1409:22, 1409:24,	1410:16, 1410:19 <b>systems</b> [4] - 1362:37, 1378:18, 1380:31, 1404:26  <b>T</b>  <b>table</b> [1] - 1356:7 <b>target</b> [2] - 1410:2, 1410:10 <b>TasWater</b> [1] - 1404:30 <b>technically</b> [1] - 1354:16 <b>techniques</b> [1] - 1395:41 <b>telemetry</b> [1] - 1406:35 <b>temperature</b> [1] - 1395:7 <b>temporary</b> [3] - 1362:17, 1362:26, 1387:22 <b>tend</b> [7] - 1358:2, 1365:7, 1365:9, 1376:7, 1377:20, 1384:35, 1386:5 <b>tender</b> [12] - 1353:38, 1353:39, 1353:41, 1359:14, 1383:45, 1384:27, 1409:10, 1411:29, 1411:33, 1411:43 <b>tendered</b> [2] - 1353:40, 1358:34 <b>tends</b> [2] - 1372:28, 1389:22 <b>tension</b> [1] - 1375:44 <b>tensioning</b> [1] - 1375:5 <b>term</b> [1] - 1357:44 <b>terms</b> [4] - 1382:46, 1398:3, 1398:46, 1406:3 <b>terraced</b> [1] - 1369:12 <b>terrain</b> [1] - 1387:40 <b>test</b> [1] - 1410:3 <b>THE</b> [2] - 1411:26, 1412:43 <b>themselves</b> [5] - 1355:3, 1360:11, 1369:41, 1396:40, 1396:45 <b>therefore</b> [1] - 1390:31 <b>they've</b> [12] - 1365:45, 1366:12, 1371:28, 1381:14, 1382:37, 1383:22, 1384:6, 1384:22, 1384:24, 1403:19, 1405:37,	1405:38 <b>thinks</b> [1] - 1379:14 <b>third</b> [1] - 1361:5 <b>thoughts</b> [1] - 1353:33 <b>three</b> [6] - 1365:44, 1372:10, 1376:15, 1383:25, 1384:2, 1411:34 <b>threshold</b> [3] - 1363:22, 1363:24, 1407:1 <b>thumb</b> [1] - 1385:9 <b>tie</b> [3] - 1365:45, 1387:40, 1393:12 <b>tightly</b> [1] - 1369:37 <b>tiled</b> [1] - 1386:38 <b>tilt</b> [1] - 1380:32 <b>timeframe</b> [1] - 1383:26 <b>timeline</b> [1] - 1383:2 <b>timing</b> [1] - 1374:13 <b>today</b> [3] - 1394:4, 1411:22, 1412:31 <b>today's</b> [1] - 1411:30 <b>together</b> [3] - 1360:41, 1370:23, 1405:18 <b>tolerable</b> [3] - 1355:33, 1396:5, 1396:7 <b>tolerances</b> [1] - 1409:2 <b>took</b> [1] - 1411:12 <b>tool</b> [2] - 1401:8, 1407:10 <b>toolkit</b> [2] - 1404:4, 1407:11 <b>tools</b> [1] - 1404:4 <b>top</b> [16] - 1354:16, 1355:15, 1361:21, 1364:43, 1364:46, 1365:10, 1376:28, 1379:10, 1379:43, 1380:10, 1380:23, 1383:25, 1386:36, 1387:18, 1389:40, 1408:40 <b>topic</b> [5] - 1375:9, 1375:30, 1381:17, 1410:38, 1411:23 <b>topography</b> [1] - 1399:11 <b>Torquay</b> [1] - 1410:21 <b>touch</b> [1] - 1374:2 <b>touched</b> [1] - 1358:32 <b>towards</b> [5] - 1364:40, 1399:13, 1399:14, 1399:25, 1400:24 <b>track</b> [3] - 1362:26, 1371:27, 1390:29 <b>trained</b> [2] - 1380:34	<b>transfer</b> [1] - 1403:8 <b>travelled</b> [1] - 1359:44 <b>travelling</b> [2] - 1401:26, 1401:39 <b>travels</b> [1] - 1386:29 <b>treat</b> [4] - 1384:28, 1384:31, 1406:28, 1406:30 <b>treating</b> [1] - 1404:8 <b>trees</b> [12] - 1365:10, 1365:14, 1365:16, 1365:18, 1365:19, 1365:20, 1365:23, 1365:25, 1372:39, 1376:6, 1376:8, 1386:15 <b>trench</b> [48] - 1367:22, 1367:24, 1397:1, 1397:2, 1397:3, 1397:5, 1397:13, 1397:33, 1397:37, 1397:43, 1397:46, 1398:1, 1398:11, 1398:15, 1398:20, 1398:21, 1398:23, 1398:35, 1399:16, 1400:7, 1400:11, 1400:19, 1400:42, 1400:46, 1401:14, 1401:15, 1401:16, 1401:17, 1401:20, 1401:26, 1401:33, 1401:40, 1401:46, 1401:47, 1402:22, 1402:27, 1402:28, 1402:31, 1402:32, 1402:35, 1403:8, 1403:12, 1405:28, 1407:30, 1407:31, 1409:31 <b>trenches</b> [11] - 1367:21, 1367:29, 1396:43, 1399:32, 1399:33, 1399:39, 1400:2, 1400:8, 1405:23, 1405:32 <b>triaging</b> [1] - 1406:27 <b>tried</b> [2] - 1379:26, 1400:36 <b>trigger</b> [3] - 1363:18, 1380:33, 1410:19 <b>trim</b> [2] - 1371:3, 1371:4 <b>trimming</b> [1] - 1376:5 <b>true</b> [5] - 1359:20, 1367:39, 1398:6, 1401:19, 1403:31 <b>try</b> [16] - 1356:29, 1356:39, 1361:24, 1361:41, 1361:42,
--	---	---	--	--

<p>1364:35, 1370:4, 1373:25, 1373:43, 1385:38, 1385:40, 1385:41, 1385:42, 1388:22, 1396:11, 1396:14</p> <p><b>trying</b> [17] - 1355:8, 1355:32, 1358:19, 1378:37, 1382:34, 1387:40, 1389:47, 1390:44, 1391:14, 1396:27, 1396:44, 1398:14, 1401:34, 1402:1, 1402:2, 1402:6, 1409:23</p> <p><b>tub</b> [1] - 1353:21</p> <p><b>Tully</b> [2] - 1395:4, 1395:33</p> <p><b>tunnelling</b> [1] - 1392:44</p> <p><b>turn</b> [4] - 1362:39, 1381:8, 1393:2, 1412:20</p> <p><b>turning</b> [1] - 1390:5</p> <p><b>twice</b> [1] - 1378:28</p> <p><b>two</b> [16] - 1361:28, 1365:44, 1368:16, 1370:11, 1371:24, 1375:43, 1376:1, 1386:44, 1403:36, 1409:26, 1409:29, 1410:39, 1411:29, 1411:40</p> <p><b>two-by-two</b> [1] - 1361:28</p> <p><b>type</b> [18] - 1359:3, 1363:25, 1365:3, 1365:38, 1365:42, 1374:44, 1375:37, 1376:12, 1376:42, 1376:47, 1378:13, 1378:34, 1381:12, 1382:47, 1390:18, 1406:29, 1410:42</p> <p><b>types</b> [5] - 1358:45, 1365:40, 1376:11, 1381:8</p>	<p><b>undermine</b> [2] - 1382:14, 1388:2</p> <p><b>undermining</b> [2] - 1390:35, 1390:36</p> <p><b>underneath</b> [6] - 1381:3, 1381:23, 1381:25, 1381:28, 1381:29, 1386:43</p> <p><b>understood</b> [4] - 1386:22, 1398:34, 1399:47, 1405:2</p> <p><b>undertaken</b> [5] - 1355:20, 1356:44, 1357:27, 1375:38, 1383:1</p> <p><b>undertakes</b> [1] - 1406:4</p> <p><b>undertaking</b> [1] - 1406:10</p> <p><b>unfair</b> [1] - 1385:4</p> <p><b>unhappy</b> [1] - 1393:37</p> <p><b>unless</b> [1] - 1372:46</p> <p><b>unnecessary</b> [1] - 1398:24</p> <p><b>unseasonal</b> [1] - 1363:14</p> <p><b>unstable</b> [1] - 1355:4</p> <p><b>untreated</b> [2] - 1391:26, 1392:18</p> <p><b>unusual</b> [1] - 1392:21</p> <p><b>up</b> [61] - 1359:33, 1360:30, 1361:3, 1361:15, 1361:16, 1361:18, 1361:21, 1361:22, 1362:18, 1362:24, 1362:28, 1362:32, 1364:9, 1366:36, 1367:24, 1367:33, 1371:26, 1371:27, 1371:28, 1372:39, 1373:22, 1373:24, 1376:34, 1378:45, 1379:1, 1379:24, 1379:30, 1379:44, 1380:9, 1380:10, 1380:16, 1380:27, 1380:33, 1381:3, 1382:13, 1382:17, 1382:28, 1383:18, 1384:6, 1384:23, 1388:38, 1392:9, 1393:38, 1397:21, 1398:4, 1398:19, 1398:20, 1399:39, 1400:33, 1401:27, 1402:8, 1402:12, 1402:15, 1403:39, 1403:45, 1405:1, 1407:31, 1408:40, 1408:43,</p>	<p>1409:2, 1411:36</p> <p><b>upgrade</b> [4] - 1366:32, 1367:6, 1394:2, 1396:34</p> <p><b>upgraded</b> [1] - 1395:29</p> <p><b>upgrading</b> [1] - 1396:7</p> <p><b>uphill</b> [2] - 1373:26</p> <p><b>upper</b> [4] - 1369:32, 1370:35, 1384:28, 1384:32</p> <p><b>upslope</b> [3] - 1363:28, 1382:25, 1386:22</p> <p><b>urge</b> [1] - 1412:35</p> <p><b>uses</b> [1] - 1385:32</p>	<p>1396:35</p> <p><b>void</b> [1] - 1400:15</p> <p><b>volume</b> [1] - 1384:23</p> <p><b>vulnerable</b> [6] - 1356:26, 1391:26, 1395:1, 1395:2, 1395:13, 1404:5</p>	<p>1398:9, 1398:12, 1398:14, 1398:24, 1398:30, 1398:36, 1399:10, 1399:11, 1399:13, 1399:18, 1400:2, 1400:8, 1400:14, 1400:18, 1400:23, 1400:30, 1400:35, 1401:13, 1401:15, 1401:19, 1401:24, 1401:26, 1401:28, 1401:31, 1401:32, 1401:33, 1401:36, 1401:39, 1401:43, 1401:45, 1401:47, 1402:2, 1402:3, 1402:8, 1402:15, 1402:21, 1402:25, 1402:26, 1402:37, 1402:40, 1403:8, 1403:35, 1403:41, 1403:47, 1404:6, 1404:17, 1404:23, 1404:25, 1404:26, 1404:31, 1404:39, 1404:43, 1405:15, 1405:22, 1405:23, 1405:26, 1406:11, 1406:20, 1407:25, 1407:29, 1407:30, 1407:38, 1409:21, 1409:29, 1409:40, 1409:44, 1410:3, 1410:9</p> <p><b>Water</b> [8] - 1352:41, 1353:17, 1395:5, 1396:19, 1396:24, 1405:41, 1406:4, 1407:6</p> <p><b>Water's</b> [1] - 1405:47</p> <p><b>water's</b> [1] - 1398:1</p> <p><b>water-bearing</b> [3] - 1366:32, 1403:35, 1403:41</p> <p><b>ways</b> [1] - 1396:12</p> <p><b>weak</b> [1] - 1401:24</p> <p><b>weakest</b> [2] - 1401:16, 1401:40</p> <p><b>week</b> [1] - 1380:30</p> <p><b>weeks</b> [1] - 1412:30</p> <p><b>weight</b> [1] - 1379:20</p> <p><b>wells</b> [18] - 1361:6, 1362:8, 1362:33, 1362:42, 1362:47, 1363:4, 1363:9, 1363:21, 1368:5, 1373:7, 1376:27, 1376:33, 1409:15, 1409:30, 1409:33, 1410:4, 1410:10,</p>
<p><b>U</b></p>		<p><b>V</b></p>		<p><b>W</b></p>
<p><b>ultimately</b> [1] - 1385:29</p> <p><b>unaffected</b> [1] - 1387:14</p> <p><b>uncertainty</b> [2] - 1412:25, 1412:26</p> <p><b>under</b> [4] - 1389:42, 1393:7, 1393:35, 1399:33</p> <p><b>underlay</b> [1] - 1372:23</p>		<p><b>vacuum</b> [1] - 1365:17</p> <p><b>valid</b> [1] - 1377:34</p> <p><b>valuable</b> [1] - 1412:12</p> <p><b>value</b> [1] - 1410:12</p> <p><b>valves</b> [1] - 1400:45</p> <p><b>various</b> [2] - 1361:31, 1363:46</p> <p><b>vegetate</b> [2] - 1361:26, 1364:42</p> <p><b>vegetation</b> [6] - 1364:42, 1364:46, 1365:7, 1365:24, 1365:26, 1376:6</p> <p><b>veggie</b> [2] - 1388:11, 1388:37</p> <p><b>versus</b> [1] - 1395:12</p> <p><b>via</b> [1] - 1400:15</p> <p><b>viable</b> [1] - 1379:23</p> <p><b>VicRoads</b> [1] - 1391:43</p> <p><b>Victoria</b> [2] - 1352:18, 1352:36</p> <p><b>view</b> [12] - 1355:14, 1355:18, 1355:41, 1363:7, 1366:46, 1373:45, 1375:19, 1380:8, 1390:43, 1393:30, 1408:41, 1409:3</p> <p><b>View</b> [10] - 1355:16, 1358:23, 1361:3, 1362:32, 1371:33, 1379:24, 1381:33, 1396:9, 1397:41, 1409:15</p> <p><b>views</b> [1] - 1367:43</p> <p><b>virtue</b> [1] - 1382:3</p> <p><b>visible</b> [5] - 1371:44, 1372:2, 1385:45, 1385:46, 1385:47</p> <p><b>vitreous</b> [2] - 1367:18,</p>	<p><b>wait</b> [3] - 1374:11, 1374:15, 1374:16</p> <p><b>waiting</b> [3] - 1379:1, 1382:28, 1412:40</p> <p><b>wall</b> [40] - 1358:39, 1360:12, 1360:33, 1360:35, 1360:40, 1361:28, 1361:38, 1364:15, 1364:30, 1364:32, 1365:32, 1365:38, 1365:40, 1366:5, 1368:4, 1369:34, 1369:36, 1370:46, 1371:1, 1375:1, 1375:2, 1375:3, 1378:47, 1379:11, 1382:2, 1382:6, 1382:15, 1382:20, 1385:33, 1388:7, 1388:21, 1388:26, 1388:28, 1393:15, 1393:17, 1393:18, 1397:14</p> <p><b>walls</b> [5] - 1362:5, 1362:7, 1365:47, 1369:13, 1381:32</p> <p><b>water</b> [122] - 1354:38, 1356:7, 1356:11, 1356:35, 1360:4, 1362:34, 1363:27, 1363:30, 1363:40, 1363:47, 1364:1, 1365:20, 1365:27, 1365:28, 1366:32, 1367:9, 1367:20, 1367:22, 1367:28, 1369:38, 1382:34, 1382:35, 1382:38, 1391:8, 1394:8, 1394:37, 1394:38, 1394:40, 1394:42, 1395:35, 1395:41, 1395:47, 1396:11, 1396:25, 1396:42, 1397:3, 1397:8, 1397:9, 1397:14, 1397:16, 1397:18, 1397:19, 1397:21, 1397:41, 1397:42, 1397:46, 1397:47, 1398:3, 1398:4,</p>	

1410:39 <b>wet</b> [2] - 1391:2, 1399:3 <b>whelans</b> [1] - 1384:5 <b>Whelans</b> [2] - 1381:12, 1383:22 <b>whereas</b> [1] - 1389:5 <b>whole</b> [7] - 1357:4, 1369:24, 1369:40, 1370:35, 1389:18, 1396:11, 1401:20 <b>why's</b> [1] - 1372:26 <b>wide</b> [3] - 1361:19, 1379:30, 1381:2 <b>width</b> [2] - 1379:29, 1381:2 <b>wild</b> [1] - 1375:19 <b>William</b> [1] - 1352:18 <b>windblown</b> [1] - 1393:36 <b>wire</b> [3] - 1361:39, 1365:42, 1365:47 <b>wish</b> [1] - 1377:8 <b>WITHDREW</b> [1] - 1411:26 <b>withstand</b> [1] - 1356:19 <b>withstands</b> [1] - 1356:8 <b>witness</b> [2] - 1405:40, 1411:33 <b>WITNESSES</b> [1] - 1411:26 <b>word</b> [4] - 1355:31, 1358:2, 1360:33, 1373:43 <b>words</b> [2] - 1354:7, 1377:19 <b>works</b> [14] - 1354:13, 1355:20, 1355:29, 1356:44, 1358:22, 1374:7, 1374:9, 1375:31, 1376:11, 1378:16, 1382:25, 1382:47, 1387:12, 1392:45	1370:41, 1370:43, 1378:46, 1379:10, 1387:31
<b>Y</b>	
<b>year</b> [7] - 1369:39, 1385:12, 1385:15, 1395:13, 1404:30, 1406:1, 1410:21 <b>years</b> [11] - 1362:46, 1373:32, 1373:34, 1375:40, 1375:43, 1376:1, 1393:31, 1394:8, 1394:16, 1394:19, 1397:42 <b>yellow</b> [6] - 1370:39,	